

EXHIBIT LIST

1	6 WAQSR §§ 2 and 4
2	EPA's NSR Manual (Draft 1990), Chs. B and C
3	Modeling Protocol (2/8/07)
4	Permit Application (12/31/07)
5	Permit Receipt Letter (1/7/08)
6	URS Letter w/ Application revisions (2/13/08)
7	AQD Completeness Determination (3/10/08)
8	DKRW letter to AQD (4/4/08)
9	URS Letter – coal emissions and SSEM (4/23/08)
10	URS letter to AQD w/ Application revisions (6/4/08)
11	Application Analysis (6/19/08)
12	AQD public notice letter to MBFP (6/25/08)
13	Legal Notice Affidavit (7/3/08)
14	URS letter w/ revision pages (7/31/08)
15	Permit Application (printed from CD 000078) (7/31/08)
16	DKRW Comments (7/31/08)
17	AQD Letter to MBFP – public comments (8/15/08)
18	AQD Letter to MBFP – ozone and startup (9/5/08)
19	DKRW Response to Comments letter (9/30/08)
20	DKRW Letter to AQD (10/14/08)
21	DKRW Letter to AQD (11/11/08)
22	AQD Letter to MBFP (12/29/08)
23	DKRW Letter to AQD (12/30/08)
24	DKRW to AQD – PM10 (2/3/09)
25	Decision (3/4/09)
26	Permit CT-5873 (3/4/09)
27	Initial and Final Invoices
28	AQD Letter to URS (1/10/08)
29	URS Letter to AQD (3/3/08)
30	DEQ Letter to URS (3/18/08)
31	EPA Comments (8/4/08)
32	AQD Letter to MBFP – HAP Health Risk (10/3/08)
33	DKRW Letter to AQD (11/5/08)
34	Wyoming Interstate Transport SIP – Declaration (12/2006)
35	Winborn Expert Report
36	Seitz Memo (10/23/1997)
37	Page Memo (4/5/2005)
38	Wyoming 2007 PM2.5 Recommendation (12/11/07)
39	AERMOD Implementation Guide (1/9/08)
40	Keyfauver Deposition Excerpts

41	Sahu Deposition Excerpts
42	Winborn Deposition Excerpts
43	DEQ Comment Letter – EPA-HQ-OAR-2006-0605
44	Sahu Initial Expert Report
45	Sahu Rebuttal Report
46	Permit App Analysis – AP-8749 – Bucknum Bentonite Plant, Natrona County (6/29/09)
47	Permit App Analysis – AP-4703 – American Colloid Colony East/West, Crook County (4/13/07)
48	Permit App Analysis – AP-5098 – PacifiCorp Dave Johnston Plant, Converse County (4/22/08)
49	EPA Protocol for Equipment Leak Emission Estimates, Chs. 2 and 5 (11/1995)
50	Respondent DEQ's Responses to Petitioner's First Set of Discovery Requests
51	EPA Letter to Senator Simpson (6/26/1996)
52	EPA – Wyoming MOU on PM10 NAAQS (1/24/1994)
53	PRB Coal Mine Permitting Guidance (5/4/2005)
54	PRB Coal Mine Permitting Guidance (2/27/06)
55	Sierra Club Comments (8/1/08)
56	AP-42 § 11.9
57	Keyfauver Deposition – additional excerpts
58	Carbon Basin Mines Permit No. CT-4136 (12/20/2005) and accompanying Application Analysis AP-2989 (11/9/05)

BEFORE THE ENVIRONMENTAL QUALITY COUNCIL
STATE OF WYOMING

IN THE MATTER OF)
MEDICINE BOW FUEL & POWER) Docket No. 09-2801
AIR PERMIT CT-5873)

**WYOMING DEPARTMENT OF ENVIRONMENTAL QUALITY'S
MEMORANDUM IN SUPPORT OF MOTION FOR SUMMARY JUDGMENT**

Exhibit No. 57 – Keyfauber Deposition – Additional Excerpts

1 ANDREW KEYFAUVER,
2 called as a witness, being first duly sworn, testified
3 as follows:

4 EXAMINATION

5 BY MS. ISSOD:

6 Q Good morning, Mr. Keyfauber.

7 A Good morning.

8 Q Can you please state your full name and
9 address for the record.

10 A It's Andrew Keyfauber. My work address is
11 122 West 25th Street, Cheyenne, Wyoming 82002.

12 Q And you're currently employed by the Wyoming
13 Department of Environmental Quality, correct?

14 A Correct.

15 Q And have you appeared at a deposition before?

16 A No.

17 Q This is your first. So let me go over some
18 ground rules. I'm basically just going to ask you a few
19 questions about your job and about the permit for the
20 Medicine Bow facility, the Medicine Bow Fuel and Power
21 facility. If at any time you don't hear me or if you
22 don't understand the question, then just say so. Ask me
23 to repeat the question or tell me that you don't
24 understand it, and I will rephrase it.

25 Try to state your answers clearly. A nod of

1 public -- the application, the public notice, the
2 decision document, some of the other -- I think -- the
3 decision document, yeah. That's -- that's as best as I
4 recall --

5 Q Great.

6 A -- is currently in here.

7 Q Great. So is everything in here, in this
8 folder, in the administrative record?

9 A I believe all but the Deseret permit. I
10 looked at that.

11 Q Okay.

12 A I don't have a decision document.

13 Q Okay. So in the notice of this deposition,
14 we asked for you to bring certain documents with you,
15 including correspondence and notes. Did you bring any
16 correspondence with you today?

17 A No.

18 MS. VEHR: I brought all the admin record
19 stuff and that.

20 MS. ISSOD: Okay.

21 Q (By Ms. Issod) Do you have any handwritten
22 notes with you, outside of what is in the administrative
23 record already?

24 A No, I do not.

25 Q Okay. Do you have any handwritten notes

1 the head doesn't work for the record. He's going to
2 take down your response. If you need to take a break at
3 any time, please just say so. If we have a question
4 pending, I'll ask you to answer the question before we
5 take a break, but whenever you need to.

6 If you ever realize that an answer you gave
7 was inaccurate or you'd like to add something, just tell
8 me you'd like to supplement an earlier answer, that you
9 just remembered something.

10 If you don't remember the information
11 necessary to answer the question, just say so, that you
12 don't recall.

13 And please do not answer a question unless
14 you're 100 percent sure that you understand it. Okay.
15 Do you understand all those instructions?

16 A Yes, I do.

17 Q Okay. Is there anything I should know about
18 your physical health or mental state today that will
19 impair your ability to respond to questions?

20 A I'm perfectly fine.

21 Q Great. Okay. In preparation for this
22 deposition, did you review any documents?

23 A These documents I have in this folder.

24 Q Okay.

25 A It's pretty much the application, the

1 regarding this matter since the administrative record
2 was assembled?

3 A No, I do not.

4 Q Okay. So how long have you been working at
5 the DEQ?

6 A I've been working for Air Quality Division
7 for just over nine years.

8 Q Nine years. And what is your current job
9 title?

10 A I believe it is currently program engineer.
11 It's -- it's changed like four times in the last year
12 and a half.

13 Q Oh.

14 A That job classification status.

15 Q Can you discuss your responsibilities as a
16 program engineer?

17 A I am a senior permit engineer in Air Quality
18 Division. Reviews permit applications. Typically, PSD
19 or what they call more complex technical applications,
20 such as coal mines or synthetic minor type of
21 applications in regards to NSR.

22 Q Okay. Did you have primary responsibility at
23 DEQ for review of Medicine Bow's prevention of
24 significant deterioration permit?

25 A Yes.

1 A I would look back at the appendices where the
2 emission calculations and references are.

3 MS. ISSOD: Do you have a copy, Nancy, of the
4 permit application?

5 MS. VEHR: I have the admin record.

6 MS. ISSOD: Can we get a copy of the permit
7 application?

8 MS. VEHR: If you can tell me what Bates
9 numbers and stuff. I've got the whole -- the whole
10 record there.

11 MS. ISSOD: Okay. Well, let's do that after
12 the next break, then.

13 MS. VEHR: Okay.

14 **Q (By Ms. Issod) Would you prefer to see a
15 hard copy or electronic copy? Which would be easier for
16 you?**

17 A Hard copy.

18 **Q Move on to a different topic, then. I'd like
19 to talk about the best available control technology
20 analysis, or BACT analysis. It's my understanding that
21 Wyoming has a BACT analysis that's different from the
22 PSD's BACT analysis; is that correct?**

23 MS. VEHR: I'm just going to object to in
24 terms of PSD BACT analysis. Are you talking about
25 Federal or State PSD?

1 **Q (By Ms. Issod) Okay. It's my understanding
2 that Wyoming has a BACT analysis that differs from the
3 Federal five-step top-down BACT analysis; is that
4 correct?**

5 A I'd say we typically follow the NSR puzzle
6 book which describes the five-step analysis.

7 **Q Is there another name for the NSR puzzle
8 book?**

9 A I do not recall the name of it. I was just
10 using the -- the common language for that book.

11 **Q Is it -- is it the 1990 New Source Review
12 Draft Workshop Manual?**

13 A I -- I believe that is correct. I'm not
14 absolutely certain about it.

15 **Q Okay. Does this EPA document describe the
16 five-step top-down BACT analysis?**

17 A Yes, it does.

18 **Q Okay. So the Wyoming BACT analysis follows
19 the EPA's five-step top-down BACT analysis?**

20 A We typically follow the five-step process.

21 **Q Okay.**

22 A To the best of our ability, where it fits
23 appropriately.

24 **Q And what do you do where it doesn't fit?**

25 A In those cases, we're usually going to the

1 most stringent control technology.

2 **Q So do you think the Wyoming BACT analysis and
3 the top-down BACT analysis would typically yield the
4 same results?**

5 A I believe our Chapter 6, Section 4, and our
6 Chapter 6, Section 2, BACT analysis would obtain the
7 same control technology.

8 **Q Did you review the best available control
9 technology analysis for sulfur dioxide emissions from
10 the Medicine Bow flare?**

11 A The -- I guess, can you clarify, the flares
12 are a control device for the emission units. So we --
13 we apply BACT for the emission units and not the control
14 device. We can set emission limits where appropriate
15 from the control device, but we do not do BACT on the
16 control device. It is for the emission unit.

17 **Q Okay. So the flares -- so you didn't
18 consider the flares to be emission sources at the
19 Medicine Bow facility.**

20 A They are sources of emissions that can -- but
21 they are control devices for process units.

22 **Q So you didn't consider the flares to be
23 emission sources for purposes of BACT.**

24 A A top-down BACT analysis was not conducted
25 for the flares, but was for the emission units at the

1 facility.

2 MS. VEHR: When you finish this line, if we
3 could take a lunch break.

4 MS. ISSOD: How many minutes are you looking
5 for?

6 MS. VEHR: It's been about 40 minutes, so
7 sometime in the next 10 minutes, 15 minutes.

8 MS. ISSOD: Okay.

9 MS. VEHR: Whenever you come to a breaking
10 point.

11 MS. ISSOD: Okay. Yes.

12 MS. VEHR: Unless you needed to break
13 earlier.

14 THE WITNESS: I'm fine.

15 MS. ISSOD: Yes. Let's try to finish this
16 section.

17 MS. VEHR: Appreciate it. Thank you.

18 **Q (By Ms. Issod) Did you consider any other
19 control options for the flares, other than the
20 startup/shutdown emission minimization, or SSEM plan?**

21 MS. VEHR: And I'm just going to object on
22 "control option." I'm not sure what you mean by
23 "control option."

24 A I believe SSM plan is one of the options
25 allowed under BACT for applying some sort of work

1 practice standards.

2 **Q (By Ms. Issod) Did you consider any other**
3 **option for the flares?**

4 A Not that I recall.

5 **Q Did you consider strengthening the plan in**
6 **any way?**

7 A We reviewed that plan with our best
8 engineering judgment. That plan could be addressed in
9 the future, if a district engineer sees something, but
10 that's beyond my expertise at this point in time.

11 **Q Okay. Did you determine whether the plan was**
12 **enforceable?**

13 MR. COPPEDE: Objection. Foundation. But go
14 ahead and answer.

15 A As part of reviewing that SSM plan, we
16 reviewed it to ensure that there were areas where the
17 district engineer could look at it and say, Did you meet
18 the time frame in the SSM plan, or other thresholds that
19 were established in the plan.

20 **Q (By Ms. Issod) Did you consider making it**
21 **more -- the plan more enforceable?**

22 A I don't understand.

23 **Q Okay. Did you consider limiting the number**
24 **and durations of startups each year?**

25 A As I understand it, that would be a judgment

1 technologies.

2 **Q Okay. So does part of your review of this**
3 **SSEM plan includes a determination whether or not it was**
4 **enforceable?**

5 MS. VEHR: Objection as to the portion
6 dealing with compliance. He's in permit, not in
7 compliance.

8 A We reviewed the plan as provided by Medicine
9 Bow Fuel and Power using our engineering judgment. And
10 included that as part of our draft permit, which went to
11 public notice. And as far as I recall, the district
12 engineer did not make any comments regarding the
13 startup/shutdown plan.

14 **Q (By Ms. Issod) In terms of your**
15 **responsibilities, is there something different about a**
16 **work practice plan from a control -- from a BACT control**
17 **option?**

18 A It's just -- as far as I understand it, it is
19 an available option under BACT if it's not feasible to
20 establish an emission limit.

21 **Q My understanding is, if there was a control**
22 **technology chosen for BACT that you didn't think was a**
23 **top control option, you would talk to the company about**
24 **that; is that correct?**

25 A We would ask them why they discarded that

1 call for the district engineer. If it's -- if it's not
2 as represented in the application. In the permit.

3 **Q So is it your primary responsibility to**
4 **review the control options and the BACT determination in**
5 **the permit application?**

6 A As part of my job duties is to go through and
7 evaluate the BACT as proposed by Medicine Bow Fuel and
8 Power.

9 **Q Okay.**

10 A And make a determination based on all
11 available information.

12 **Q And if you're satisfied that the BACT**
13 **controls and the application is proper, the draft permit**
14 **then goes to the permit engineer for review. Is that**
15 **accurate?**

16 A No. I would review the BACT analysis
17 provided, make a determination, and then it would go to
18 the program supervisor and manager for their review.

19 **Q Okay. So if at some point in the process,**
20 **you weren't satisfied with an aspect of the BACT**
21 **analysis or the control chosen, what would you do?**

22 A We would go back to the company with our
23 comments and concerns, with their BACT analysis, whether
24 they need to address additional control technologies or
25 evaluate additional control thresholds with the chosen

1 control technology under technical or economic
2 feasibility.

3 **Q So I'm curious. It seems that you're**
4 **testifying there's a different level of review with**
5 **respect to this work practices plan.**

6 A I disagree.

7 **Q Okay. So would you say that you do the same**
8 **level review of this plan as you would a control**
9 **technology?**

10 A I would say any BACT determination undergoes
11 the same scrutiny, whether it's subject to PSD or some
12 other source.

13 **Q Is that you? Are you the responsible DEQ**
14 **official for reviewing this plan?**

15 A I was one of the engineers who reviewed that
16 plan prior to public notice and permit issuance.

17 **Q Okay. But you didn't review it to determine**
18 **whether it was enforceable.**

19 A Could you repeat the question?

20 **Q Did you review the plan to determine whether**
21 **it was enforceable?**

22 A Yes, we did.

23 **Q Okay. Did you determine it was enforceable?**

24 A To the best of our engineering judgment,
25 there were set points that the district engineer could

1 utilize for enforceability.

2 **Q Okay. And did you consider any other option,**
3 **like a permit condition that might limit the number of**
4 **startups every year?**

5 A I do not recall there being multiple startups
6 in the application.

7 **Q The purpose of this plan is to minimize**
8 **emissions during startup, shutdown, and malfunctions,**
9 **correct?**

10 A Correct.

11 **Q So my question was going to, did you consider**
12 **any other option besides this work practice plan for**
13 **limiting emissions from startup, shutdown, and**
14 **malfunctions?**

15 A Not as I recall.

16 MS. ISSOD: Should we break now? Because
17 it's going to take a little bit longer.

18 MS. VEHR: Okay.

19 (Recess from 1:18 p.m. to 2:18 p.m.)

20 MS. ISSOD: Let's go back on the record.

21 **Q (By Ms. Issod) Mr. Keyfauver, during the**
22 **break, did you have a chance to review some documents to**
23 **refresh your memory concerning the sulfur dioxide**
24 **potential to emit for the Medicine Bow facility?**

25 A Yes.

1 **Q Okay. So were sulfur dioxide emissions from**
2 **malfunction events included in the potential to emit?**

3 A Those emissions were included in the cold
4 startup year emissions. The application represented
5 those emissions as upset events during the cold startup
6 year. In Appendix B of the application.

7 **Q Okay. So are you saying that emissions from**
8 **malfunctions were included in cold startup emission?**

9 A They were reflected in the cold startup
10 emissions as represented from Medicine Bow Fuel and
11 Power.

12 **Q Okay. So are you saying there's a table in**
13 **the application that references emissions from cold**
14 **start year that includes emissions from malfunction?**

15 A That includes -- yes.

16 **Q Okay.**

17 A That includes that table that you were
18 referencing.

19 **Q Okay. My understanding was, there were two**
20 **separate tables in the permit application, one**
21 **referencing cold startup emissions and one that**
22 **referenced malfunction. Is that true?**

23 A I believe that's also on the application.

24 **Q Okay. So are you saying that -- do you**
25 **agree, there were two tables in the application: one**

1 for cold startup year emissions and one for malfunction
2 emissions?

3 A Correct.

4 **Q Okay. Are you saying that the cold startup**
5 **year table includes malfunction emissions?**

6 A From that table, correct.

7 **Q Okay. So is the malfunction emissions table**
8 **a subset, basically, of the cold startup year?**

9 A Correct.

10 **Q Okay. So does the application consider**
11 **malfunctions to be a type of cold startup?**

12 MS. VEHR: Objection. The application speaks
13 for itself.

14 A It is representative, potentially occurring
15 during a cold startup.

16 **Q (By Ms. Issod) Okay. Were the emissions**
17 **from cold startup included in the potential to emit for**
18 **the Medicine Bow facility?**

19 A The cold startup emissions were included in
20 the ambient impact analysis for the facility, which
21 should -- which is the highest emissions.

22 **Q Okay.**

23 A Demonstrate compliance with the WAAQS NAAQS.

24 **Q Okay. My question is about the potential to**
25 **emit. So let me try to define that further. We**

1 discussed the potential to emit is used to determine
2 whether a source is a minor or a major source for PSD
3 purposes, correct?

4 A Correct.

5 **Q And you testified that for that**
6 **determination, Medicine Bow sulfur dioxide emissions are**
7 **approximately 36 tons per year, correct?**

8 A Correct.

9 **Q Okay. Were emissions from cold starts used**
10 **in that potential to emit estimate?**

11 A Those emissions were not considered part of
12 the normal or routine emissions. They were only
13 reflected in the cold startup year.

14 **Q Can you give me a yes or no answer to the**
15 **question?**

16 A Could you repeat it?

17 MS. ISSOD: Okay. Mr. Court Reporter, could
18 you repeat the question.

19 THE REPORTER: "Okay. Were emissions from
20 cold starts used in that potential to emit estimate?"

21 A For establishing emission limits, I would say
22 no. They were included in the WAAQS NAAQS analysis.

23 MS. ISSOD: Could we go off the record for a
24 second?

25 (Off the record.)

1 Q Okay.

2 A -- how he is -- how he does his compliance
3 job.

4 Q But part of your job is to ensure that he can
5 do his compliance job.

6 A I'd say that was part of my job, is to set
7 conditions that he can enforce.

8 Q Okay. In the third bullet under Gasifier, it
9 reads, A low pressure and normal operating pressure
10 check are required. Do you see that sentence?

11 A Yes.

12 Q Is there any numerical specificity in the
13 plan regarding this pressure check?

14 A I'd say no, there is not.

15 Q Okay. How are the pressure checks
16 enforceable if there's no numerical specificity?

17 A I am not an expert, but I would -- I could
18 only guess that the pressure checks are part of a safety
19 procedure prior to sending the gas down to other units.

20 Q But if there's no limit on the outcome of
21 those pressure checks, how is that -- is that an
22 enforceable requirement of this plan?

23 A I believe the plan is to be reviewed in its
24 entirety, not in pieces.

25 Q Okay.

1 A To arrive at whether it's practically
2 enforceable.

3 Q Okay. So some aspects of the plan might not
4 be enforceable; some aspects might be enforceable.

5 MS. VEHR: Objection.

6 MR. COPPEDE: Misstates his testimony.

7 A When it comes to certain line items like this
8 well pressure, probably say that would be hard to
9 enforce.

10 Q (By Ms. Issod) Okay. Move on to another
11 subject. How do you estimate emissions from fugitive
12 component leaks?

13 A Using -- the applicant used AP 42
14 emissions -- either AP 42 emission factors or SOCMI, as
15 they're sometimes referred to.

16 Q What does SOCMI stand for?

17 A Synthetic -- I do not recall exactly, but
18 synthetic organic chemical manufacturing industry, or
19 something like that.

20 Q Okay. So what -- what does the applicant do
21 with these emission factors to estimate fugitive
22 component leaks?

23 A Could you reword . . .

24 Q Okay. In order to calculate fugitive
25 component leaks, don't you need a count of the number of

1 components in the facility?

2 A As I recall, the applicant provided counts
3 for components.

4 Q Is it true to estimate fugitive component
5 leaks, you generally need three things: a component
6 count; information about the design of each component;
7 and emission factors for each component?

8 A I'd ask for clarification what you mean by
9 "design."

10 Q Okay. Details about each component.

11 A I would say that there are multiple factors
12 that go into fugitive emission calculations, such as the
13 type of service that the component is in. Is it a
14 valve, a flange. The emission factors is just one piece
15 that comes in that AP 42.

16 Q Okay. So can you fully describe all the
17 pieces that you need to calculate fugitive component
18 leak emissions?

19 A I'll try and recall all of them. But you
20 need a count of the equipment. Whether it be pumps.
21 Need to know if it's a pump, a valve, a flange. What
22 type of service it's in, whether it's gas service,
23 liquid service, gas and liquid service. The VOC
24 constituent. Based on the type of valve and service,
25 you can use the AP 42 factors to arrive at emission

1 factors -- or emissions based on counts.

2 Q Okay. Do you recall the number of components
3 Medicine Bow used to estimate its fugitive component
4 leaks?

5 A No, I do not.

6 Q Is there a document that you could quickly
7 look through to refresh your memory?

8 A It would be in the application. Probably in
9 Appendix B where all the emission calculations were.

10 Q Okay. Well, regardless of the number, how
11 did you verify this number?

12 A I verified the emission factors that they
13 used, based on what they say is the service and the EOC
14 content and compared those with the known EPA factors.

15 Q How did you verify the number of components?

16 A That was provided to us by the applicant,
17 based on their -- their latest design drawings.

18 Q Did they provide to you their latest design
19 drawing?

20 A No.

21 Q Did you ask for their latest design drawings?

22 A No.

23 Q Okay. Are emissions from fugitive component
24 leaks a large source of volatile organic -- strike that;
25 start over -- volatile organic compounds?

1 **Medicine Bow facility?**

2 MR. COPPEDE: I object. The question lacks
3 foundation. Go ahead and answer.

4 A Methanol emissions.

5 MS. VEHR: Is there something you need to --

6 A I just need to look where they came from.

7 The majority of methanol emissions were from fugitive
8 emissions, so they would follow the same methodology
9 used to estimate the VOC estimate from emissions using
10 the EPA's emission factors.

11 **Q (By Ms. Issod) Okay. Would a minor change
12 in any of the assumptions underlying this estimate
13 increase methanol potential to emit over 10 tons per
14 year?**

15 MS. VEHR: Objection as to what you mean by
16 "minor." Calls for speculation. Facts not in evidence.

17 A I don't know. It would depend on what has
18 changed.

19 **Q (By Ms. Issod) Are any of the assumptions
20 underlying the emission calculation enforceable?**

21 MR. COPPEDE: Object to form of the question.
22 Vague and ambiguous.

23 MS. VEHR: I'll join in that.

24 A My guess is they could use Condition 2 of
25 Exhibit 4.

1 **Q (By Ms. Issod) Condition 2 of the final
2 permit?**

3 A Yes. It all has descriptions set forth in
4 the application.

5 **Q Okay.**

6 A Then we also do have that Condition 19, of
7 Exhibit 4, what I could verify.

8 MS. ISSOD: Okay. Can I take a short break?

9 THE WITNESS: Sure.

10 MS. VEHR: Yes.

11 (Recess from 3:18 p.m. to 3:33 p.m.)

12 **Q (By Ms. Issod) Did you get a chance to
13 review some documents during the break?**

14 A (Shakes head.)

15 **Q No.**

16 A No.

17 MS. VEHR: He didn't come around to look at
18 your computer. I'm sorry.

19 MS. ISSOD: Sure. Can we go off the record.

20 (Off the record.)

21 **Q (By Ms. Issod) Did you have a chance to
22 review documents during the break?**

23 A Yes, I did.

24 **Q Can you answer the question now? Did you
25 account for HAP emissions from the flares during SSM**

1 **events?**

2 A No.

3 **Q Why not?**

4 A The applicant didn't provide any emissions
5 during those events.

6 **Q Do you recall asking for emissions during
7 those events?**

8 A No. As far as I recall, we did not, because
9 the gasifiers and stuff did not -- the syn gas had not
10 made it down to the other processes, which would have
11 gone back to the flares. As I recall.

12 **Q Is the syn gas -- if it did make it down to
13 the flares, does that mean there would be no HAP
14 emissions?**

15 A The syn gas hadn't made it through the
16 process to BACT which -- say the MPG process or the
17 methanol process, where it would be sent to the flares.

18 **Q I'm just trying to understand the response,
19 being a nonexpert myself. So if you could try to
20 explain again why --**

21 A As I recall -- as I recall during startup,
22 syn gas from the gasifiers will go to the flares, until
23 downstream units are able to accommodate the syn gas.
24 And syn gas is primarily composed of CO and hydrogen.
25 And possible amounts of hydrogen sulfide, but that's

1 not ...

2 **Q Okay. So are you saying that you didn't
3 account for HAP emissions during the flares because you
4 don't believe there will be any HAP emissions?**

5 A I do not recall there being HAP emissions
6 during startup and shutdown from those emission units.

7 **Q And the reason you believe there's no HAP
8 emissions is because of where the syn gas --**

9 A Where the streams are coming from, the
10 process streams.

11 **Q So what stream is going to the flares during
12 SSM events?**

13 A I -- I would need to look at the simplified
14 process flow diagram that was in the analysis. It was
15 reflected there.

16 **Q In the DEQ permit analysis?**

17 A Yes, and the application.

18 (Deposition Exhibit 5 marked.)

19 **Q (By Ms. Issod) Giving you a copy of
20 Exhibit 5. Is that the DEQ permit application analysis?**

21 A Correct.

22 MS. VEHR: Can I interrupt for just a second
23 while Andrew is looking at this. In the back of this,
24 Appendix A and Appendix B, and there's something that
25 looks like Section 4? I don't know if that's part of

1 the permit application or not.
 2 MS. ISSOD: Okay. There might be some extra
 3 pages --
 4 MS. VEHR: Okay.
 5 MS. ISSOD: -- in the exhibits that
 6 correspond to the Bates numbers.
 7 MS. VEHR: Okay.
 8 MS. ISSOD: Yes.
 9 MS. VEHR: I just wanted to reflect that on
 10 the question.

11 MS. ISSOD: Okay.
 12 **Q (By Ms. Issod) Did you have a chance to**
 13 **refresh your memory?**

14 A Yeah.
 15 MS. ISSOD: Could the court reporter read
 16 back the pending question.
 17 (Testimony read.)

18 **Q (By Ms. Issod) What streams are going to the**
 19 **flares during SSM events?**

20 A As I recall, the streams from the GE
 21 gasification block and potentially the syn gas-up as it
 22 reflects acid and gas removal.

23 **Q (By Ms. Issod) Does that change your**
 24 **previous understanding that there won't be HAP emissions**
 25 **from the flares during SSM events?**

1
1
1
1
1
1
1
2
2
2
2
2

1 **Q Sure.**
 2 A -- the analysis. In the cold startup table
 3 with VOCs from the high pressure and low-pressure flare,
 4 so, yes, we did account for.

5 **Q Okay. Did you account for VOC emissions from**
 6 **the flares in the potential to emit estimate?**

7 A I'd say the VOC emissions are as reflected in
 8 the cold startup.

9 **Q Okay. Are you aware if Medicine Bow modeled**
 10 **short-term fugitive emissions of particulate matter?**

11 A To the extent of which I know of, they had
 12 fugitive emissions in the annual model.

13 **Q And not in the short-term model.**

14 A As far as I understand, but I would defer
 15 that to Josh Nall.

16 **Q Do you know why they wouldn't model**
 17 **short-term fugitive emissions of particulate matter?**

18 MS. VEHR: Objection. It's argumentative.

19 A I'd defer to Josh.

20 **Q (By Ms. Issod) All right. Were you involved**
 21 **in the permitting process for the Dry Fork generating**
 22 **facility?**

23 A No, I was not.

24 **Q Okay. Does the record contain a BACT**
 25 **analysis of PM 2.5?**

1
1
1
1
1
1
1
2
2
2
2
2

1 A No.

2 **Q Okay.**

3 A No, it doesn't change my understanding.

4 **Q Okay. So those streams don't contain HAP**
 5 **emissions?**

6 A I do not know the exact composition of those
 7 streams, but those -- they primarily consist of carbon
 8 monoxide -- carbon monoxide, hydrogen, with some CO2 and
 9 hydrogen sulfide, and hydrogen sulfide is not considered
 10 a HAP.

11 **Q Okay. Are VOCs a HAP?**

12 A That is difficult to answer, because HAPs are
 13 a subset of VOCs.

14 **Q Okay. That's a good answer. All right. Did**
 15 **you account for VOC emissions from the flares during SSM**
 16 **events?**

17 A I do not recall.

18 **Q Okay. And you would need to look --**

19 A Appendix B.

20 **Q -- Appendix B again. Okay. Are you aware**
 21 **of, Medicine Bow modeled short-term fugitive emissions**
 22 **of particulate matter?**

23 A If we can go back to the previous one.

24 **Q Sure.**

25 A Because I'm looking at --

1
1
1
1
1
1
1
1
1
2
2
2
2
2

1 A No, it does not, because we use a PM 10
 2 surrogate policy.

3 **Q Does the record contain a modeling analysis**
 4 **of PM 2.5?**

5 A Not that I'm aware of, but you'd have to talk
 6 to Josh.

7 **Q Does the record contain an analysis of why**
 8 **PM 10 is a reasonable surrogate for PM 2.5 at the**
 9 **Medicine Bow facility?**

10 MS. VEHR: Objection. Modeling. He already
 11 said that he needs to talk to -- the question would have
 12 to be directed to Josh.

13 MR. COPPEDE: We will object on foundation
 14 grounds.

15 A I do not believe that it does, but I have to
 16 defer to Josh.

17 **Q (By Ms. Issod) Okay.**

18 A It's outside my area of expertise.

19 **Q Did you conduct an analysis of why PM 10 is a**
 20 **reasonable surrogate for PM 2.5 at the Medicine Bow**
 21 **facility?**

22 A No, I did not.

23 **Q Did you review an analysis of why PM 10 is a**
 24 **reasonable surrogate for PM 2.5 at the Medicine Bow**
 25 **facility?**

1
1
1
1
1
1
1
2
2
2
2
2

1 A I do not recall that being in the
 2 application.
 3 Q Okay. Did you analyze the relationship
 4 between PM 10 and PM 2.5 emissions from Medicine Bow?
 5 A No, I did not.
 6 Q Did you determine that the control
 7 technologies selected for PM 10 is at least as effective
 8 as the technology that would have been selected if a
 9 PM 2.5 BACT analysis were conducted?
 10 MS. VEHR: Objection to form of the question.
 11 A Would you repeat that? Was that "review" or
 12 "conduct"?
 13 Q (By Ms. Issod) Okay. Well, let's say
 14 "conduct."
 15 A No.
 16 Q Did you review?
 17 A No.
 18 Q Can you explain why the PM 10 control at the
 19 Medicine Bow facility will control PM 2.5?
 20 A I cannot.
 21 Q Do you believe the PM 10 control at the
 22 Medicine Bow facility will control PM 2.5 emissions?
 23 A I do not know.
 24 Q Do you know of any controls that are
 25 available for PM 2.5 emissions at the Medicine Bow

1 plant?
 2 A I do not, because I'm not familiar with
 3 PM 2.5 controls.
 4 Q Do you know whether PM 2.5 is a separate
 5 pollutant from PM 10 under the Clean Air Act?
 6 A I know it has a separate NAAQS standard from
 7 PM 10.
 8 Q Okay. Anything else?
 9 A No.
 10 Q Okay. Do you think there's technical
 11 impediments to conducting a PM 2.5 BACT analysis at the
 12 Medicine Bow plant?
 13 A That, I don't know, because I'm not familiar
 14 with the controls or the emission estimates for the
 15 plant. So it would be guessing.
 16 Q Do you know whether there's PM 2.5 monitoring
 17 stations currently in operation?
 18 A In Wyoming, there is a PM 2.5 network. I do
 19 not know their precise locations. I'd have to defer to
 20 the monitoring program.
 21 Q Do you know whether there's PM 2.5
 22 measurement methods available?
 23 A Not that I'm aware of. It's -- I have not
 24 done an analysis of PM 2.5.
 25 MS. ISSOD: Okay. Take a quick break.

1 (Recess from 3:52 p.m. to 3:56 p.m.)
 2 MS. ISSOD: So I have no further questions,
 3 Mr. Keyfauver. Thank you for your time today.
 4 THE WITNESS: Thank you.
 5 EXAMINATION
 6 BY MS. THRONE:
 7 Q Mr. Keyfauver, I just have a couple of
 8 questions. I don't have this printed as an exhibit, but
 9 I'll represent to you that I'm showing him Section 3.1
 10 of the decision document.
 11 MS. ISSOD: I handed you that as an exhibit.
 12 MS. THRONE: The decision document? I don't
 13 think so. You had the permit --
 14 MS. ISSOD: I might have it, if you want it.
 15 MS. THRONE: If you have a hard copy.
 16 MS. ISSOD: It includes the public hearing in
 17 the front but then it has the decision document.
 18 MS. VEHR: I don't think this one has the
 19 decision --
 20 MS. THRONE: That's not the decision
 21 document.
 22 MS. ISSOD: That's not the one you're talking
 23 about.
 24 MS. THRONE: No, I'm talking about the March
 25 12th, 2009 decision document that we issued with the

1 permit.
 2 MS. ISSOD: This (indicating).
 3 MS. VEHR: Yes.
 4 MS. ISSOD: Yes. Page 30. Not in the copy?
 5 MS. VEHR: Not in this.
 6 MS. ISSOD: Well, I have it. I have a hard
 7 copy, if you want to use it. Either way. I don't mind
 8 either way. If you want to show it on the computer
 9 screen.
 10 MS. ISSOD: What page are we looking at?
 11 MS. THRONE: I'm not sure of the page number.
 12 Page 37? No, that's not right. It's Section 3.1 of the
 13 decision document. P of FC, applicability for SO2.
 14 Q (By Ms. Throne) Mr. Keyfauver, earlier in
 15 the deposition, you were asked to testify regarding what
 16 emissions were included in the potential to emit or PTE
 17 for sulfur dioxide. If I could just give a second to
 18 review this paragraph, then I'll ask you a few
 19 questions.
 20 A (Examines a document.) Okay.
 21 Q I believe earlier, you were asked about
 22 whether cold start emissions were included in the PTE
 23 for sulfur dioxide, and I believe your answer was no.
 24 Is that correct?
 25 A Correct.

BEFORE THE ENVIRONMENTAL QUALITY COUNCIL
STATE OF WYOMING

IN THE MATTER OF)
MEDICINE BOW FUEL & POWER) Docket No. 09-2801
AIR PERMIT CT-5873)

**WYOMING DEPARTMENT OF ENVIRONMENTAL QUALITY'S
MEMORANDUM IN SUPPORT OF MOTION FOR SUMMARY JUDGMENT**

Exhibit No. 58 – Carbon Basin Mines

Permit CT-4136 (12/20/2005)

Application Analysis AP-2989 (11/9/2005)



Department of Environmental Quality



To protect, conserve and enhance the quality of Wyoming's environment for the benefit of current and future generations.

Dave Freudenthal, Governor

John Corra, Director

December 20, 2005

Mr. Stephen C. Skordas
Mine Manager
Arch of Wyoming, LLC
P. O. Box 460
Hanna, WY 82327

Permit No. CT-4136

Dear Mr. Skordas:

The Division of Air Quality of the Wyoming Department of Environmental Quality has completed final review of Arch of Wyoming, LLC's application to establish a 2.1 million ton per year surface and underground coal mine known as the Carbon Basin Mines, located approximately four (4) miles north of Elk Mountain, Wyoming.

Following this agency's proposed approval of the request as published November 17, 2005 and in accordance with Chapter 6, Section 2(m) of the Wyoming Air Quality Standards and Regulations, the public was afforded a 30-day period in which to submit comments concerning the proposed modification, and an opportunity for a public hearing. No public comments have been received. Therefore, on the basis of the information provided to us, approval to modify the Carbon Basin Mines as described in the application is hereby granted pursuant to Chapter 6, Section 2 of the regulations with the following conditions:

1. That authorized representatives of the Division of Air Quality be given permission to enter and inspect any property, premise or place on or at which an air pollution source is located or is being constructed or installed for the purpose of investigating actual or potential sources of air pollution and for determining compliance or non-compliance with any rules, standards, permits or orders.
2. That all substantive commitments and descriptions set forth in the application for this permit, unless superseded by a specific condition of this permit, are incorporated herein by this reference and are enforceable as conditions of this permit.
3. That a permit to operate, in accordance with Chapter 6, Section 2(a)(iii) of the WAQSR, is required after a 120 day start-up period in order to operate this facility.
4. That all notifications, reports and correspondences associated with this permit shall be submitted to the Stationary Source Compliance Program Manager, Air Quality Division, 122 West 25th Street, Cheyenne, WY 82002 and a copy shall be submitted to the District Engineer, Air Quality Division, 152 North Durbin Street, Suite 100, Casper, WY 82601.
5. That written notification of the anticipated date of initial start-up, in accordance with Chapter 6, Section 2(i) of the WAQSR, is required not more than 60 days or less than 30 days prior to such date. Notification of the actual date of start-up is required 15 days after start-up.

Herschler Building • 122 West 25th Street • Cheyenne, WY 82002 • <http://deq.state.wy.us>

ADMIN/OUTREACH (307) 777-7758 FAX 777-3610	ABANDONED MINES (307) 777-6145 FAX 777-6462	AIR QUALITY (307) 777-7391 FAX 777-5616	INDUSTRIAL SITING (307) 777-7369 FAX 777-6937	LAND QUALITY (307) 777-7756 FAX 777-5864	SOLID & HAZ. WASTE (307) 777-7752 FAX 777-5973	WATER QUALITY (307) 777-7781 FAX 777-5973
--	---	---	---	--	--	---



6. That the date of commencement of construction shall be reported to the Administrator within 30 days of commencement. In accordance with Chapter 6, Section 2(h) of the WAQSR, approval to construct or modify shall become invalid if construction is not commenced within 24 months after receipt of such approval or if construction is discontinued for a period of 24 months or more. The Administrator may extend the period based on satisfactory justification of the requested extension.

Carbon Basin Mines

7. That Arch of Wyoming, LLC shall comply with the following requirements for the fogger units at Carbon Basin Mines:
 - a) That the opacity from the fogger units shall be limited to a maximum of 20 percent as determined by Method 9 of 40 CFR, Part 60, Appendix A.
 - b) That the fogger units shall be operated during all times that the respective coal processing facility is operating including loading of the crusher feed hopper.
 - c) Weekly inspections of the fogger systems shall be conducted by Arch of Wyoming to determine any repair measures necessary to minimize fugitive dust emissions and maintain proper operation of the control system. Corrective action and repair measures must be initiated in an expeditious manner when the control device is determined to be improperly maintained or operated.
8. That the crusher feed hopper shall be limited to less than 20 percent opacity, per the requirements of Subpart Y. Compliance with the 20 percent opacity limit at the crusher feed hopper will be determined by Method 9 of 40 CFR, Part 60, Appendix A.
9. Topsoiled areas shall be stabilized as soon as feasible after topsoil laydown. When appropriate, topsoiled areas shall be chiseled to roughen the surface to lessen wind erosion potential. Backfilled and regraded areas that will not be topsoiled or seeded for an extended period of time and are subject to wind-blown erosion shall be ripped to roughen the surface to help reduce wind erosion.
10. That all haul roads and stockpiles within the Carbon Basin Mines shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.
11. The maximum coal production by year shall not exceed the production rate of 2.1 million tons per year as described in the mine plan contained in the application. Annual coal and overburden production rates shall be reported with the annual report required for dust control measures by Condition 10.

12. That a maximum of 120,000 tons per year of coal may be processed through the in-pit crusher at the Carbon Basin Mines. Annual coal throughput through the in-pit crusher shall be reported with the annual report required for dust control measures by Condition 10.
13. That Arch of Wyoming, LLC will limit public access to the lands defined by the Administrator as necessary to conduct mining operations. All fencing of the Lands Necessary to Conduct Mining boundary shall be equipped with locked gates and signs posted at fixed intervals identifying the enclosed area and prohibiting access.
14. That Arch of Wyoming, LLC shall comply with the requirements of 40 CFR, Part 60, Subpart Y for the coal handling system at the Carbon Basin Mine.
15. That Arch of Wyoming, LLC will adhere to their program to mitigate coal fires that result from spontaneous combustion. All fires are to be extinguished within 24 hours unless operational safety issues are present. A production supervisor will document extinguishing measures utilized when fires are considered significant. All documentation shall be maintained and made available to the Division upon request.
16. That Arch of Wyoming, LLC's shall operate, in accordance with the requirements of 40 CFR, Parts 50 and 58, an approved ambient particulate monitoring program that includes an ambient particulate monitoring network, with wind speed and direction instruments at the Carbon Basin Mines. The data generated by the network shall be submitted in an approved format on a quarterly basis, within 60 days following the end of the quarter. Arch of Wyoming, LLC shall maintain a quality assurance plan for the monitoring network, as required by 40 CFR, Part 58 and shall be approved by the Division.
17. That the ambient monitoring program required in Condition #16 shall be operational prior to Arch of Wyoming, LLC producing more than 200,000 tons of coal from the Carbon Basin Mines. Arch of Wyoming, LLC shall submit for approval the locations of the ambient monitor(s) prior to start-up of the monitoring program.
18. That Arch of Wyoming, LLC shall maintain a meteorological station at their Carbon Basin Mines acceptable to the Division. Surface air meteorological data measurements shall be collected at the Carbon Basin Mines, as specified in the EPA document: Meteorological Monitoring Guidance for Regulatory Modeling Applications. The meteorological data measurements shall consist of hourly observations of:
 - a. Wind speed using an anemometer height of 10 meters
 - b. Wind direction
 - c. Ambient temperature
19. The meteorological data specified in Condition #18 shall be submitted in an electronic format on a quarterly basis and shall be compiled in a joint frequency distribution (JFD) utilizing the modified sigma theta method for stability. The meteorological station required in Condition #18 shall be operational prior to Arch of Wyoming, LLC producing more than 200,000 tons of coal from the Carbon Basin Mines.

Seminole II Processing Area

20. That Arch of Wyoming, LLC may only process run-of-mine coal at the Seminole II Processing Area.
21. That the water sprays shall be operated during all times that the respective coal processing facility is operating.
22. That all haul roads/stockpiles within the Seminole II Processing Area shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of water truck operations, water usage, chemical usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The annual report shall be submitted to the Division by April 1st of each year.
23. That Arch of Wyoming, LLC shall comply with the requirements of 40 CFR, Part 60, Subpart Y for the coal handling system at the Seminole II Processing Area.

Haul Roads from Carbon Basin Mines to Seminole II


24. That all unpaved portions of the haul route from the Carbon Basin Mine to Highway 72 utilized during the calendar year shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. At a minimum, two (2) applications of dust suppressant shall be applied for each calendar year. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.
25. That all unpaved portions of the haul route from Highway 30 to the Seminole II Processing Area utilized during the calendar year shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. At a minimum, two (2) applications of dust suppressant shall be applied for each calendar year. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.

Arch of Wyoming, LLC
Air Quality Permit CT-4136
Page 5


It must be noted that this approval does not relieve you of your obligation to comply with all applicable county, state, and federal standards, regulations or ordinances. Special attention must be given to Chapter 6, Section 2 of the Wyoming Air Quality Standards and Regulations, which details the requirements for compliance with conditions 3, 5, and 6. Any appeal of this permit as a final action of the Department must be made to the Environmental Quality Council within sixty (60) days of permit issuance per Section 16, Chapter I, General Rules of Practice and Procedure, Department of Environmental Quality.

If we may be of further assistance to you, please feel free to contact this office.

Sincerely,



Dan Olson
Administrator
Air Quality Division



John V. Corra
Director
Dept. of Environmental Quality

cc: Chris Hanify

DO/cs



DEPARTMENT OF ENVIRONMENTAL QUALITY
AIR QUALITY DIVISION

Permit Application Analysis
AP-2989

November 9, 2005

NAME OF FIRM: Arch of Wyoming, LLC

NAME OF FACILITY: Carbon Basin Mines
(Elk Mountain Mine - surface)
(Saddleback Hills Mine - underground)

FACILITY LOCATION: Various Sections of T21N, R80W & T20N, R80W
Approximately 3 miles north-northeast of Elk Mountain

TYPE OF OPERATION: Surface & Underground Coal Mine

RESPONSIBLE OFFICIAL: Steve Skordas, Mine Manager

MAILING ADDRESS: P.O. Box 460
Hanna, WY 82327

TELEPHONE NUMBER: (307) 325-6581 ext. 101

REVIEWING ENGINEER: Andrew Keyfauver, Air Quality Engineer

PURPOSE OF APPLICATION:

On February 9, 2005, Arch of Wyoming, LLC submitted an application to establish a 2.1 million ton per year surface and underground coal mine known as the Carbon Basin Mines. The Carbon Basin Mines will consist of the Elk Mountain Mine which is a surface mine that uses mobile equipment to remove overburden, mine coal, and backfill mined pits, and the Saddleback Hills mine which is an underground mine that uses continuous mining equipment. Approximately 1.6 million tons per year of coal is expected to come from surface mining operations. Arch of Wyoming, LLC has proposed two options for coal mined from the Carbon Basin Mines; either all run of mine coal will be hauled to the existing Seminoe II processing area for crushing and load-out through rail cars, or a portion (120,000 tons per year) of the mined coal will be run through an in-pit crusher and crushed coal will be loaded out by highway haul trucks. The Seminoe II processing area is located on the northern outskirts of Hanna and Elmo.

The life of the Elk Mountain Mine is projected to be ten (10) years while the life of the Saddleback Hills Mine is projected to be eleven (11) years. Arch of Wyoming, LLC expects that the initial phase of mining at the Carbon Basin Mines will last approximately five (5) years in which the Seminoe II processing area will be used and an in-pit crusher may be installed to allow the loading of highway haul trucks. During the next phase of mining at the Carbon Basin Mines Arch of Wyoming anticipates constructing a new coal handling and load-out facility, including an on-site railroad spur capable of higher throughput. This application will only address the initial phase of mining at the Carbon Basin Mines.

PROCESS DESCRIPTION:

Mine Plan

The Elk Mountain Mine will use front end loaders and highway haul/end-dump trucks to remove coal from surface mining operations. Mining at the Elk Mountain Mine will consist primarily of three pits. Activities would alternate between the pits consisting of top soil removal/replacement, overburden removal/backfilling, and coal removal. Arch of Wyoming, LLC has designated three sites where the pits would be located. Site 1 is located on the west side of the mining area and will progress from north to south. Site 2 is on the south side of the mining area and will progress from west to east. Site 3 is located on the east side and will progress from east to west and then toward the northeast. Underground activities at the Saddleback Hills Mine are expected to coincide with operations at the Elk Mountain Mine.

Coal Handling

Carbon Basin Mines

Coal mined from the underground mine will be transported via a conveyor to a radial stacker where it will be dumped on a stockpile with an estimated size of up to 35,000 tons. An underground tunnel with a conveyor will take coal from the stockpile to load-out bins where highway haul trucks will be loaded for transport to the Seminole II Processing Area. Surface mined coal will be loaded into highway haul trucks for transport up to the Seminole II Processing Area.

If highway haul trucks are loaded for sale at the Carbon Basin Mines there will be a crusher located in-pit. This crusher could be fed by either end-dump trucks from surface mined coal or fed by a front-end loader from the underground mine coal stock pile.

Seminole II Processing Area

The Seminole II Processing Area will only take run-of-mine coal from the Carbon Basin Mines. Haul trucks would belly dump coal into a primary crushing loading hopper. Once coal has passed the primary crusher it is sent on to a secondary crusher. From the secondary crusher it is conveyed to stacker tubes which create stockpiles around the tubes. Beneath the stacker tubes are reclaim tunnels which collect the coal and send it to a load-out bin for rail-car loadout.

The Seminole II Processing Area is currently permitted under Air Quality Permit CT-579, which has a limit of 2.1 MMTPY for coal crushing and loadout.

Equipment

The following is the list of mining equipment that will be used at the Carbon Basin Mines:

Table 1: Carbon Basin Mines – Mining Equipment		
Equipment	Class/Size	Number of Units
Front End Loader	23 Cubic Yard	1
	15 Cubic Yard	1
	7.5 Cubic Yard	1
Trucks	End Dump Truck/200 ton	3
	Highway Haul Trucks/35 ton	15
	Bottom Dump Truck/200 ton	2
	Fuel Truck	1
	Service Truck	1
	Lowbed Tractor Trailer/85 tons	1
Grader/Dozers/Scrappers	Grader 275 hp	1
	Crawler Tractor 850 hp	1
	Crawler Tractor 570 hp	2
	Scraper 450/490 hp	1
Water Truck	20,000 gallon	1
Drill	Blast Hole Drill	1
Miscellaneous	Light Plant	3
	Hydraulic Crane/15 ton	1
	Utility Backhoe/2 Cubic Yard	1

Disturbed Acreage

Arch of Wyoming, LLC has estimated that there will be 7.3 acres of disturbed area within the Carbon Basin Mines. This is based only on actives during one year. If reclaimed areas and stockpiles are factored in on a two year basis, the disturbed area is estimated to be double that of one year or 14.6 acres.

ESTIMATED EMISSIONS CARBON BASIN MINES:

Particulate emissions (PM₁₀) from the Carbon Basin Mines were estimated using approved Air Quality Division emission calculations developed for coal mines in the Powder River Basin based on mining 2.1 MMTPY of coal. Haul road emissions from the mine to paved surfaces and from paved surfaces to the Seminole II processing area along with fuel burning equipment were based on AP-42 emission factors.

Table 2: Carbon Basin Mines PM ₁₀ Fugitive Emissions (tpy)					
Source	Year 1	Year 2	Year 3	Year 4	Year 5
Scraper Operation	2.6	2.6	2.6	2.6	2.6
Overburden Removal	23.6	19.9	22.9	24.7	19.2
Coal Removal	0.5	0.6	0.5	0.5	0.6
Truck Dump	3.1	3.4	3.1	3.1	3.4
Wind Erosion ²	22.4	22.4	22.4	22.4	22.4
Coal and OB Blasting	0.1	0.1	0.1	0.1	0.1
Dozers	9.8	9.8	9.8	9.8	9.8
In-Mine Coal Haul Roads	6.0	8.3	8.0	8.7	10.2
Overburden Haul Roads	2.9	3.1	4.2	4.6	4.2
Haul Road Repair	3.4	3.4	3.4	3.4	3.4
Haul Road from CBM to Paved Road (Hwy 72)	128.4	128.4	128.4	128.4	128.4
Haul Road from Paved Road (Hwy 30) to Seminoe II	86.8	86.8	86.8	86.8	86.8
Coal Crushing (Optional Crusher)/Conveying	1.4	1.4	1.4	1.4	1.4
Total	291.0	290.2	293.6	296.5	292.5

¹ Based on the use of the Seminoe II processing area.

² Wind erosion based on 14.6 acres or two years.

Table 3: Other Pollutant Emissions Carbon Basin Mines (tpy)					
	NO _x	CO	PM ₁₀	VOC	SO ₂
Gasoline & Diesel Fired Equipment ¹	238.2	200.4	4.6	10.7	4.1
Blasting	0.5	--	--	--	--
Totals	238.7	200.4	4.6	10.7	4.1

¹ Each year was assumed to have the same amount of fuel consumption.

Table 4: Seminoe II Processing Area – (Crushing/Stockpiling/Loadout)	
PM ₁₀ (tpy) CT-579	74.0

BEST AVAILABLE CONTROL TECHNOLOGY (BACT):

Haul Roads

- Carbon Basin Mines

Arch of Wyoming, LLC has proposed to use water on the roads within the Carbon Basin Mines to minimize fugitive emissions. In addition they have also proposed to use magnesium chloride if it is determined that the application of water isn't sufficient to minimize fugitive emissions. The overall effectiveness of fugitive emission control relies on the assessment of current conditions and the flexibility to react to changing conditions. The Division considers the use of water and chemical dust suppressants as representing BACT for roads within the Carbon Basin Mines.

- Carbon Basin Mines to Highway 72

Arch of Wyoming, LLC has proposed a minimum of two applications of magnesium chloride along the road from the Carbon Basin Mines to Highway 72. In addition water is to supplement the application of chemical dust suppressants as necessary to minimize fugitive dust emissions. The Division considers two applications of chemical dust suppressant along with water as representing BACT for controlling fugitive dust emissions from this road.

- Highway 30 to Seminole II Processing Area

Arch of Wyoming, LLC addressed two options along this portion of the haul route. They looked at paving a 6,700 ft section of the road that passes near Elmo in addition to their assumed base case of a gravel road along with the application of chemical dust suppressant (at least two applications) and water. The cost of paving the 6,700 foot section of road was estimated at approximately \$119,000 with a cost to control of \$1,372 per ton of PM₁₀ (99% control efficiency). Based on the expected use of the Seminole II Processing Area for only the first phase of operations of the Carbon Basin Mines (5 years), the Division will consider the use of a gravel road with the use of water and chemical dust suppressant as representing BACT.

Coal Handling

- Carbon Basin Mines

Arch of Wyoming, LLC has proposed to use foggers at the Carbon Basin Mines at each transfer point along the conveyor system. The fogger system uses atomized water to help particulates drop out of the air and also wets the coal to hinder particulates from getting airborne. The fogger system will also use a surfactant with the water which helps as a wetting agent. The Division considers the use of a fogger system as being representative of BACT for this type of operation.

Fugitive dust at the crusher will be minimized with the use of foggers. Use of the fogger systems when the crusher is in operation is considered to be representative of BACT. The feed hopper to the crusher shall be limited to less than 20 percent opacity, per the requirements of Subpart Y. Compliance with the 20 percent opacity limit at the crusher feed hopper will be determined by Method 9 of 40 CFR, Part 60, Appendix A. Arch of Wyoming, LLC shall conduct, at a minimum, quarterly visual observations of the feed hopper using Method 9 to measure the opacity of any fugitive emissions when the crusher is in operation. The Method 9 observations are to be conducted by a qualified observer and shall follow the requirements and procedures of Method 9.

The applicant also addressed BACT regarding the use of an open stockpile versus the use of a coal storage silo. The estimated annualized cost of a storage silo for a period of five (5) years was estimated at approximately \$1,060,000. This equates to a cost to control particulate emissions of approximately \$93,100 per ton of PM₁₀ assuming a 99 percent control efficiency. Based on the cost to control of a storage silo the Division will consider the use of an open stockpile with the use of water and chemical dust suppressants as representing BACT.

Weekly inspections of the fogger systems shall be conducted by Arch of Wyoming to determine any repair measures necessary to minimize fugitive dust emissions and maintain proper operation of the control system. Corrective action and repair measures must be initiated in an expeditious manner when the control device is determined to be improperly maintained or operated.

The dump pad in front of the crusher feed hopper has been identified as sources of fugitive dust as pulverized material that accumulates on pads due to spillage is easily disturbed by traffic. Cleaning practices at the Carbon Basin Mine need to be adequate to control dust problems in this areas.

Conveyors that are above ground are to be partially covered, which is similar to the current conveyor system at the Seminole II Processing Area.

- Seminole II Processing Area

Arch of Wyoming, LLC has proposed to use water spray at the Seminole II Processing Area at each transfer point along the conveyor system. The Seminole II Processing Area was permitted under CT-579, and Arch of Wyoming, LLC has no changes proposed for the processing area. Therefore, the Division will consider use of water sprays at the Seminole II Processing Area as representative of BACT for this type of operation.

Miscellaneous

The Division considers acreage within the mine boundary that is subject to wind erosion as disturbed acreage. Contemporaneous reclamation helps minimize wind erosion from mined areas. Reclaimed lands are to be seeded during the first favorable planting conditions. Windrows are to be bladed in pit areas where topsoil has been stripped. Topsoil stockpiles and sediment control structures are to be seeded during the first normal period favorable for planting.

Topsoiled areas shall be stabilized as soon as feasible after topsoil lay-down. When appropriate, topsoiled areas shall be chiseled to roughen the surface. Roughened surfaces have less wind erosion potential because the rougher surface reduces wind shear at the ground level. Backfilled and regraded areas that will not be topsoiled or seeded for an extended period of time and are subject to wind-blown erosion should be ripped to roughen the surface to help reduce wind erosion.

CHAPTER 6, SECTION 3 APPLICABILITY:

The Division determines major source applicability based on point sources and includes fugitive emissions from sources which are subject to new source performance standards. There are no point sources proposed at the Carbon Basin Mines; however, the coal handling systems at the Carbon Basin Mines and the coal handling system at the Seminole II Processing Area are subject to a new source performance standard (Subpart Y); therefore emissions from the coal handling are counted toward major source applicability. Emissions from the Seminole II Processing Area are 74 tpy of PM₁₀ (Table 4) and emissions from the coal handling system at the Carbon Basin Mines are 3.4 tpy of PM₁₀. Since the Seminole II and Carbon Basin Mines are considered separate facilities, the emissions from each facility are not aggregated and total emissions from each facility are less than 100 tpy. Therefore, the Seminole II and Carbon Basin Mines are not considered major sources as defined in Chapter 6, Section 3 of the Wyoming Air Quality Standards and Regulations (WAQSR).

CHAPTER 5, SECTION 2 – NEW SOURCE PERFORMANCE STANDARDS (NSPS):

All coal preparation facilities, existing and proposed, are subject to Subpart Y of Chapter 5, Section 2, New Source Performance Standards. Subpart Y limits opacity from any coal processing and conveying equipment, including coal crushers and breakers, coal storage systems, and coal transfer and loading systems to less than twenty percent (20%) opacity.

CHAPTER 6, SECTION 4 – PREVENTION OF SIGNIFICANT DETERIORATION (PSD):

Since fugitive emissions are not counted toward applicability under Chapter 6, Section 4 of the WAQSR, the Carbon Basin Mines are not considered a “major emitting facility”, and a PSD analysis is not required.

AMBIENT AIR QUALITY:

The Division has typically modeled coal mines of considerably larger size in the Powder River Basin (PRB) for compliance with the WAAQS standards for PM₁₀ and NO_x. Based on the size of the Carbon Basin Mines the Division believes that the Carbon Basin Mine will show compliance with the WAAQS standards based on its experience with coal mines in the PRB.

PROPOSED PERMIT CONDITIONS:

The Division proposes to issue an Air Quality Permit to Arch of Wyoming, LLC to establish the Carbon Basin Mines with the following permit conditions:

1. That authorized representatives of the Division of Air Quality be given permission to enter and inspect any property, premise or place on or at which an air pollution source is located or is being constructed or installed for the purpose of investigating actual or potential sources of air pollution and for determining compliance or non-compliance with any rules, standards, permits or orders.
2. That all substantive commitments and descriptions set forth in the application for this permit, unless superseded by a specific condition of this permit, are incorporated herein by this reference and are enforceable as conditions of this permit.
3. That a permit to operate, in accordance with Chapter 6, Section 2(a)(iii) of the WAQSR, is required after a 120 day start-up period in order to operate this facility.
4. That all notifications, reports and correspondences associated with this permit shall be submitted to the Stationary Source Compliance Program Manager, Air Quality Division, 122 West 25th Street, Cheyenne, WY 82002 and a copy shall be submitted to the District Engineer, Air Quality Division, 152 North Durbin Street, Suite 100, Casper, WY 82601.
5. That written notification of the anticipated date of initial start-up, in accordance with Chapter 6, Section 2(i) of the WAQSR, is required not more than 60 days or less than 30 days prior to such date. Notification of the actual date of start-up is required 15 days after start-up.

6. That the date of commencement of construction shall be reported to the Administrator within 30 days of commencement. In accordance with Chapter 6, Section 2(h) of the WAQSR, approval to construct or modify shall become invalid if construction is not commenced within 24 months after receipt of such approval or if construction is discontinued for a period of 24 months or more. The Administrator may extend the period based on satisfactory justification of the requested extension.

Carbon Basin Mines

7. That Arch of Wyoming, LLC shall comply with the following requirements for the fogger units at Carbon Basin Mines:
 - a) That the opacity from the fogger units shall be limited to a maximum of 20 percent as determined by Method 9 of 40 CFR, Part 60, Appendix A.
 - b) That the fogger units shall be operated during all times that the respective coal processing facility is operating including loading of the crusher feed hopper.
 - c) Weekly inspections of the fogger systems shall be conducted by Arch of Wyoming to determine any repair measures necessary to minimize fugitive dust emissions and maintain proper operation of the control system. Corrective action and repair measures must be initiated in an expeditious manner when the control device is determined to be improperly maintained or operated.
8. That the crusher feed hopper shall be limited to less than 20 percent opacity, per the requirements of Subpart Y. Compliance with the 20 percent opacity limit at the crusher feed hopper will be determined by Method 9 of 40 CFR, Part 60, Appendix A.
9. Topsoiled areas shall be stabilized as soon as feasible after topsoil laydown. When appropriate, topsoiled areas shall be chiseled to roughen the surface to lessen wind erosion potential. Backfilled and regraded areas that will not be topsoiled or seeded for an extended period of time and are subject to wind-blown erosion shall be ripped to roughen the surface to help reduce wind erosion.
10. That all haul roads and stockpiles within the Carbon Basin Mines shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.
11. The maximum coal production by year shall not exceed the production rate of 2.1 million tons per year as described in the mine plan contained in the application. Annual coal and overburden production rates shall be reported with the annual report required for dust control measures by Condition 10.

12. That a maximum of 120,000 tons per year of coal may be processed through the in-pit crusher at the Carbon Basin Mines. Annual coal throughput through the in-pit crusher shall be reported with the annual report required for dust control measures by Condition 10.
13. That Arch of Wyoming, LLC will limit public access to the lands defined by the Administrator as necessary to conduct mining operations. All fencing of the Lands Necessary to Conduct Mining boundary shall be equipped with locked gates and signs posted at fixed intervals identifying the enclosed area and prohibiting access.
14. That Arch of Wyoming, LLC shall comply with the requirements of 40 CFR, Part 60, Subpart Y for the coal handling system at the Carbon Basin Mine.
15. That Arch of Wyoming, LLC will adhere to their program to mitigate coal fires that result from spontaneous combustion. All fires are to be extinguished within 24 hours unless operational safety issues are present. A production supervisor will document extinguishing measures utilized when fires are considered significant. All documentation shall be maintained and made available to the Division upon request.
16. That Arch of Wyoming, LLC's shall operate, in accordance with the requirements of 40 CFR, Parts 50 and 58, an approved ambient particulate monitoring program that includes an ambient particulate monitoring network, with wind speed and direction instruments at the Carbon Basin Mines. The data generated by the network shall be submitted in an approved format on a quarterly basis, within 60 days following the end of the quarter. Arch of Wyoming, LLC shall maintain a quality assurance plan for the monitoring network, as required by 40 CFR, Part 58 and shall be approved by the Division.
17. That the ambient monitoring program required in Condition #16 shall be operational prior to starting any mining activities. Arch of Wyoming, LLC shall submit for approval the locations of the ambient monitor(s) prior to start-up of the monitoring program.
18. That Arch of Wyoming, LLC shall maintain a meteorological station at their Carbon Basin Mines acceptable to the Division. Surface air meteorological data measurements shall be collected at the Carbon Basin Mines, as specified in the EPA document: Meteorological Monitoring Guidance for Regulatory Modeling Applications. The meteorological data measurements shall consist of hourly observations of:
 - a. Wind speed using an anemometer height of 10 meters
 - b. Wind direction
 - c. Ambient temperature
19. The meteorological data specified in Condition #18 shall be submitted in an electronic format on a quarterly basis and shall be compiled in a joint frequency distribution (JFD) utilizing the modified sigma theta method for stability.

Seminole II Processing Area

20. That Arch of Wyoming, LLC may only process run-of-mine coal at the Seminole II Processing Area.
21. That the water sprays shall be operated during all times that the respective coal processing facility is operating.
22. That all haul roads/stockpiles within the Seminole II Processing Area shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of water truck operations, water usage, chemical usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The annual report shall be submitted to the Division by April 1st of each year.
23. That Arch of Wyoming, LLC shall comply with the requirements of 40 CFR, Part 60, Subpart Y for the coal handling system at the Seminole II Processing Area.

Haul Roads from Carbon Basin Mines to Seminole II

24. That all unpaved portions of the haul route from the Carbon Basin Mine to Highway 72 utilized during the calendar year shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. At a minimum, two (2) applications of dust suppressant shall be applied for each calendar year. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.
25. That all unpaved portions of the haul route from Highway 30 to the Seminole II Processing Area utilized during the calendar year shall be treated with suitable chemical dust suppressants and/or water to control fugitive dust emissions. At a minimum, two (2) applications of dust suppressant shall be applied for each calendar year. All treated road surfaces shall be maintained on a continuous basis to the extent that the surface treatment remains a viable control measure. Records of the number and size of water trucks, water truck operations, water usage, roads watered, roads treated, length of roads treated, and other operational parameters shall be maintained such that an annual report on dust control measures can be filed with the Division in order to assess compliance with this condition. The report shall include a map showing which roads were treated and what treatments were used on road segments. The annual report shall be submitted to the Division by April 1st of each year.