

FILED

JUL 15 2013

**The Wyoming Department of Environmental Quality
Air Quality Division (WDEQ-AQD)
Wyoming Air Quality Advisory Board Meeting**

Jim Ruby, Executive Secretary
Environmental Quality Council

The Wyoming Air Quality Advisory Board will meet on January 16, 2013 at 9:00 AM, in the Cottonwood Meeting Room, Laramie County Library, 2200 Pioneer Avenue, Cheyenne, Wyoming. The Air Quality Division (AQD or Division) is requesting the Board's consideration on proposed changes to Wyoming Air Quality Standards and Regulations (WAQSR), Chapter 4, State Performance Standards for Specific Existing Sources, Chapter 5, National Emission Standards, Chapter 6, Permitting Requirements, and Chapter 11, National Acid Rain Program. Most of the changes involve annual updates to portions of the State Air Regulations which are adopted verbatim by reference from the federal Code of Regulations (CFR). These changes affect Chapters 4, 5, 6 and 11. The Division is also proposing changes to Chapter 4, Section 5, to update regulations covering hospital and medical waste incinerators so that State regulations match federal guidelines. Finally, the Division will present changes to Chapter 6, Section 4, to update PSD (Prevention of Significant Deterioration) rules to 1) specifically list new minor source baseline dates for fine particulate, 2) include revised federal language on the treatment of condensable particulate matter, and 3) clarify when the maximum allowable increment is exceeded for particulate matter. The Division is also providing opportunity for comment on two infrastructure State Implementation Plans (SIPs) to address the 2010 1-hour NO₂ ambient standard and the 2008 8-hour ozone ambient standard. Changes to Chapter 6, as well as the NO₂ and ozone infrastructure SIPs, involve changes to the SIP to satisfy Clean Air Act (CAA) Sections 110 or 166, and those changes will be submitted to the Environmental Protection Agency (EPA). The public is invited to attend the meeting and may comment on all matters before the Board. All oral comments made during the meeting, and signed comments hand-delivered to Steven A. Dietrich at the meeting, will become part of the public record. Written comments will also become part of the public record if they are signed by the commenter and submitted to Steven A. Dietrich, Administrator, DEQ/AQD, Herschler Building 2-E, 122 W. 25th Street, Cheyenne, Wyoming, 82002, or faxed to 307-777-5616, by the close of the meeting on January 16, 2013. Emailed comments will not be included in the public record. Copies of the agenda, public notice, proposed regulations, and the Infrastructure SIPs for the 2010 NO₂ standard and the 2008 ozone standard are available for public inspection at the Department of Environmental Quality, Air Quality Division, Herschler Building, 2nd Floor, 122 W. 25th Street, Cheyenne, Wyoming. Electronic copies will be available after December 16, 2012, at <http://deq.state.wy.us/aqd/index.asp>. If you have questions regarding the proposed rule changes, the NO₂ or ozone Infrastructure SIPs, or request a hard copy of any of the materials, please contact Christine Anderson at 307-675-5624.

For additional information contact Steven A. Dietrich, Administrator, Air Quality Division, at 307-777-7391.

In accordance with the Americans with Disabilities Act, special assistance or alternative formats will be made available upon request for individuals with disabilities.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WYOMING AIR QUALITY ADVISORY BOARD

TRANSCRIPT OF MEETING PROCEEDINGS

Pursuant to notice duly given to all parties in interest, this matter came on for meeting on the 16th day of January, 2013, at the hour of 9:01 a.m., at the Cottonwood Room of the Laramie County Library, 2200 Pioneer Avenue, Cheyenne, Wyoming before the Wyoming Air Quality Advisory Board, Mr. Timothy Brown, presiding, with Ms. Diana G. Hulme, Mr. Joel "J.D." Wasserburger, and Mr. Klaus D. Hanson, Ph.D. in attendance.

Mr. Steve Dietrich, Air Quality Administrator; Ms. Tina Anderson, Ms. Jeni Cederle, Mr. Mark Smith, Mr. Cole Anderson, and Ms. Darla Potter of the Air Quality Division; and Ms. Nancy Vehr, Senior Assistant Attorney General, were also in attendance.

	I N D E X	
		PAGE
1		
2		
3	CALL TO ORDER	
	Approval of Minutes - Board Member Brown	3
4	Ruling by the Board	3
5	OLD BUSINESS	
	Staff Activity - Mr. Dietrich	3
6	Enforcement - Ms. Vehr	7
7	NEW BUSINESS	
	Chapter 4 - Ms. Cederle	15
8	Ruling by the Board	26
9	Chapter 5 - Ms. Anderson	26
	Mr. Smith	29
10	Ms. Anderson	47
	Mr. Anderson	50
11	Ms. Vehr	64
	Mr. Anderson	67
12	Ms. Anderson	68
	Ruling by the Board	80
13		
	Chapter 6 - Ms. Anderson	70
14	Ruling by the Board	80
15	Chapter 11 - Ms. Anderson	80
	Ruling by the Board	81
16		
	110 Infrastructure SIP for the 2010	
17	1-hour NO2 Standard - Ms. Cederle	82
18	110 Infrastructure SIP for the 2008	
	8-hour NO2 Standard - Ms. Cederle	93
19		
	GENERAL UPDATES	
20	Ozone - Ms. Potter	103
	Greenhouse Gases - Mr. Dietrich	145
21		
	SCHEDULE NEXT MEETING	147
22		
	ADJOURN	149
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

(Air Quality Advisory Board meeting
commenced 9:01 a.m., January 16, 2013.)

BOARD MEMBER BROWN: Ready?

MR. DIETRICH: Yes, sir.

BOARD MEMBER BROWN: Okay. Welcome to Air
Quality Advisory Board, January 16. Call to order.

The first rule of order is approval of minutes
from July 12th meeting.

BOARD MEMBER HANSON: So moved.

BOARD MEMBER HULME: Second.

BOARD MEMBER BROWN: Second.

So moved and seconded. Any questions? Any
comment?

Okay. Meeting minutes from July 12th are
approved.

Old business. Staff activity.

MR. DIETRICH: Yes, that would be me,
covering the hiring status. I believe over the last year
we've had somewhere in the neighborhood of 13 vacancies at
one time. It's been a little bit of a challenge, not only
with trying to address workload, but also get new folks to
come in. It's taken some time. We've gotten some
promotions because of that. There's some people with
familiar faces in some new roles. I might want to take

1 this time to introduce you guys to some of those folks in
2 the audience right now that are here as far as the staff,
3 if that would be okay?

4 BOARD MEMBER BROWN: Absolutely.

5 MR. DIETRICH: Okay. Melissa Meares is
6 right here by the door, and she's in the Title V permitting
7 program. Josh Nall is to her right. He's New Source
8 Review. They're both new in their roles since the last
9 time, I believe, we had Air Board meeting -- Advisory Board
10 meeting.

11 And then to Josh's right is Cole Anderson. He's
12 the New Source Review program manager. And to his right is
13 Mark Smith. Mark Smith works a lot of the oil and gas
14 permitting, and he will actually be doing a presentation
15 later on this morning.

16 Skipping over to the aisle -- over the aisle is
17 Nancy Vehr. She's with the AG's office. To her right is
18 Tina Anderson with rule development. And then to her right
19 is Jeni Cederle, who was --

20 Were you in this role before?

21 MS. CEDERLE: No.

22 MR. DIETRICH: So she's new as well, coming
23 from the Air Quality Advisory -- Air Quality -- help me out
24 here. She was in planning?

25 MS. CEDERLE: Resource Management.

1 MR. DIETRICH: Resource Management. Thank
2 you.

3 She now took the place that Carissa Krey used to
4 be in. So she helps Tina with rule development.

5 Behind Jeni is Darla Potter, and she is the
6 manager -- program manager of Quality Resource Management.

7 And then, let's see, new person entirely, Shelley
8 Berry. Shelley, raise your hand.

9 MS. BERRY: Hi.

10 MR. DIETRICH: She's the new Gina. Gina
11 left us to go work in Water Quality. And Shelley came from
12 Land Quality. So she's helping us like Gina used to in the
13 past.

14 And see if I've forgotten anyone. Oh, here we
15 go, all right. I need some help.

16 MS. MILLER: Shannon Miller.

17 MR. DIETRICH: Shannon Miller, yes. Thank
18 you.

19 And she started this month working with Brian.
20 Brian Hall's to her right, and they're in the planning
21 group.

22 And I think that's all.

23 Okay. But as I started out earlier, we've had a
24 lot of vacancies. Some of these folks are a result of
25 those vacancies and got promotion and other opportunities.

1 But where we are right now, there is four vacancies left in
2 the Division; one we're in the process of trying to fill.
3 And there are three others that are part of the agency cap
4 with the governor, so we cannot fill those positions. And
5 they all happen to be in either New Source Review or Title
6 V permitting right now. So we've been really busy trying
7 to fill positions, because we really need the help. So
8 there's where we are with that.

9 BOARD MEMBER BROWN: Would it help if we
10 introduced ourselves?

11 MR. DIETRICH: Yes. I'm sorry.

12 BOARD MEMBER BROWN: My name is Tim Brown.
13 I work at Solvay Chemicals. I'm an environmental services
14 supervisor. I've been in environmental for about 20 years.

15 BOARD MEMBER WASSERBURGER: My name is
16 J.D. Wasserburger. I'm from Lusk. I'm a rancher, and I
17 have an oil field contracting business.

18 BOARD MEMBER HANSON: Klaus Hanson. I'm a
19 retired university professor. I know nothing about this at
20 all.

21 BOARD MEMBER HULME: I'm Diana Hulme. I'm
22 from Laramie, and I work at the University of Wyoming
23 School of Energy Resources.

24 MR. DIETRICH: And I'm Steve Dietrich, the
25 Air Quality administrator.

1 So are we ready to move on?

2 BOARD MEMBER BROWN: Yep.

3 MR. DIETRICH: Okay.

4 BOARD MEMBER BROWN: Enforcement
5 activities.

6 MS. VEHR: I'm Nancy Vehr with the Attorney
7 General's Office, and I'll give you this update on
8 enforcement and some litigation.

9 Our last meeting was back in July, and at that
10 time there were 63 open enforcement cases, including
11 several that were operating under various consent decrees.
12 Our last report in July covered four months, and this
13 report covered six months. So since the July report, we
14 opened 35 cases, nine of those in these first two weeks of
15 2013. So it was a little bit busy this first couple of
16 weeks here.

17 The total opened in 2012 were 61 new cases.
18 We've closed, in the past six months, 25 cases. One of
19 those will be closed in 2013. And so the total we closed
20 in 2012 were 70 cases. Right now we've got 73 open
21 enforcement cases. They're in various stages. Like I
22 said, there were some that just got opened, there's some
23 that are in settlement discussions, and then there's some
24 that we've got agreements -- tentative agreements with the
25 companies or are waiting for completion of items under

1 those settlement agreements.

2 There are a couple of appeals in front of the
3 Environmental Quality Council. So this goes under the
4 "other litigation" category. There's one case on the
5 docket that's been there since 2010, and we're keeping it
6 on the docket and asked the Council to keep it open in
7 regards to PacifiCorp's settlement agreement with terms
8 that go out until 20 -- I'd say 2020. So it might be out
9 there for a little bit.

10 The other one is an appeal by Peabody Powder
11 River Coal on an enforcement and other agency action. And
12 that was opened in late summer of 2012, and we're in
13 settlement negotiations currently on that one.

14 There's some other cases that we follow
15 nationally just to keep an eye on with the planning folks
16 and Tina doing state plans, and all those involved most of
17 the ambient pollutants that we just kind of keep an eye on.
18 We're not a participant in those cases. There's also still
19 the greenhouse gas rules that are being challenged.

20 At our last meeting in July, the D.C. Circuit
21 Court of Appeals had upheld the four national rules dealing
22 with implementation of greenhouse gases. Some of the
23 parties asked for rehearing, the court denied that
24 rehearing, and I haven't checked the docket to find out if
25 they filed a petition to go up to the U.S. Supreme Court on

1 that case or not. We anticipate that's what will happen,
2 but I haven't followed up yet to see if they did.

3 The other challenges that greenhouse gases are in
4 regards to action that EPA took in posing a Federal
5 Implementation Plan for several states, including Wyoming.
6 Wyoming challenged those, and we finished our briefing back
7 in June of 2012. We had anticipated that the D.C. Circuit
8 Court of Appeals might give us an oral argument in the
9 fall. So far we haven't heard anything, so it's just
10 sitting on their docket and still an open case.

11 The other case that we're participating in is an
12 intervening with a number of states is called White
13 Stallion V. EPA, but it's in regard to utilities MATS case.
14 We've done our part on the briefing, and it's still in that
15 briefing phase, so we're waiting for the other side to
16 respond to briefing, and then it should all be completed
17 sometime in the spring in terms of the briefing, then go to
18 our plan.

19 Other litigation that's ongoing involves regional
20 haze state plans and federal plans. There was a case --
21 deadline suit in Colorado called WildEarth Guardians V.
22 Jackson. And in that particular case EPA entered a consent
23 degree with WildEarth Guardians to establish various
24 deadlines in relation to promulgation of state plans and/or
25 implementation of federal plans. Wyoming's state plan

1 submittal was part of that litigation, so EPA established
2 agreed-to deadlines for acting on Wyoming's state plan.

3 You recall from your last meeting there had been
4 public hearings earlier this summer in regards to EPA's
5 proposed action on Wyoming's Regional Haze Plan. EPA took
6 comments in late June through part of July, and in the fall
7 apparently EPA did additional analyses. So in December of
8 2012, just last month, EPA asked the court for an extension
9 because they want to repropose action on Wyoming's state
10 plan. So we're going to go through it all over again.
11 March 31st, 2013 is the deadline, the court deadline for
12 EPA to sign a reproposal, and then September 27, 2013 is
13 the deadline for EPA to take final action on Wyoming's
14 Regional Haze Plan. So we'll have to see what they show us
15 come March.

16 And that particular plan dealt with nitrogen
17 oxide and particulate matter emissions in our BART
18 determinations, Best Available Retrofit Technology.

19 Wyoming -- or, excuse me, EPA did not ask for an
20 extension of time in regards to the other regional haze
21 plan that Wyoming has submitted involving our backstop
22 trading program, sulfur dioxide emission. EPA took final
23 action on that plan, and it was published in the Federal
24 Register on December 12, 2012. We just received word, I
25 think it was published in the paper the other day, that the

1 WildEarth Guardians had filed a petition for review of this
2 regional haze plan, and that's in the Tenth Circuit.
3 WildEarth Guardians has filed petition for review of New
4 Mexico's trading program piece as well. So that's another
5 active area we'll keep you updated on over the next couple
6 of months.

7 And that's all I have, unless you have any
8 questions on items of interest regarding enforcement.

9 BOARD MEMBER BROWN: Any questions from the
10 Board?

11 BOARD MEMBER HANSON: Just one question.

12 We dealt with an area of haze out West. Is that
13 what you'd be referring to when you said there was
14 something in the courts about one area where we had the
15 special haze situation last time we discussed it?

16 MS. VEHR: Regional haze, I don't recall
17 the discussion last time, but regional haze is for multiple
18 sources over many areas.

19 BOARD MEMBER HANSON: Okay. Uh-huh.

20 MS. VEHR: And this is a plan -- excuse me,
21 EPA's required to -- or the states are required to submit
22 plans across the United States, not just here in Wyoming.

23 BOARD MEMBER HANSON: Okay. Okay.

24 MS. VEHR: Wyoming is a member of some
25 states that got to do things a little bit differently under

1 the Clean Air Act, because we're up on -- considered one of
2 the --

3 BOARD MEMBER HANSON: The thing -- Darla
4 gave us a report on what region? What was it where --

5 MS. POTTER: Oh, that was ozone in the
6 Upper Green River Basin.

7 BOARD MEMBER HANSON: Oh, yeah. That's
8 what I was referring to.

9 So this has nothing to do with --

10 MS. VEHR: No, this is haze. This is
11 visibility.

12 BOARD MEMBER HANSON: Okay. Thank you.

13 MS. VEHR: Thanks.

14 BOARD MEMBER BROWN: Thank you.

15 Let's see. New business, rulemaking.

16 MS. ANDERSON: Good morning.

17 BOARD MEMBER BROWN: Good morning.

18 MS. ANDERSON: Tina Anderson with the Air
19 Quality Division, and I'm going to give you a game plan
20 here for new business, and then I'll -- we'll be jumping up
21 and down with various members of the staff to fill in here.

22 Before I get started, I'm sure you noticed that
23 we didn't sacrifice any trees on your behalf. But in
24 addition to the package that you got before today -- we
25 gave you on the very bottom of your new pile are the regs

1 that you actually recommended that we take through the
2 process when we met with you in July. So you now have a
3 completed copy of those. And if you still have your Air
4 Quality Standards and Regulations at home somewhere, you
5 can take out the existing versions of these and replace
6 them with these. So that's the fruit of your labors there.

7 Also in that pile is a comment letter. The only
8 comment letter that I'm aware of that we got on the
9 rulemaking that we're proposing today that came from EDF,
10 Environmental Defense Fund, and Wyoming Outdoor Council,
11 WOC. And we'll talk about that when we get to that point,
12 but you can read it at your leisure.

13 We also have in that pile copies of presentations
14 that Mark will be giving that have to do with oil and gas,
15 and also some background information that Darla Potter has
16 forwarded regarding ozone in the Upper Green. And then
17 finally in that pile you'll find a piece of legislation
18 that is actually over in the Capitol right now being
19 discussed this week or in the near future regarding
20 greenhouse gases. And that was the other piece of
21 regulation that we brought you in July, and that has
22 slightly different face than what you have in the pile
23 before you, so Steve is going to elaborate on that. So
24 additional documents, just giving you a heads-up on those.

25 As for rulemaking today, we will be proposing

1 changes to the Wyoming Air Quality Standards and
2 Regulations, Chapter 4, State Performance Standards for
3 Specific Existing Sources, Sections 1, 5, and 6.

4 We'll also be looking at proposed changes to
5 Chapter 5, National Emission Standards, Sections 2, 3, and
6 4; and Chapter 6, Permitting Requirements, Sections 4 and
7 14; and Chapter 11, the National Acid Rain Program, Section
8 2. That will be the full extent of the regulations that we
9 will cover.

10 At the end of that discussion we will ask whether
11 you will recommend that we proceed with rulemaking, and
12 that's the action that we'll ask you to vote on today. And
13 you're, of course, as always, free to make recommendations
14 on different wording or different ideas that we proposed.

15 Once we closed that section, Jeni is going to
16 introduce two new infrastructure SIPs, and she will talk
17 more about what those mean. But they're not rules, so
18 we'll separate them from the rulemaking piece.

19 And then finally the updates to the Division
20 on -- being general topics, including what you just asked
21 about, Klaus --

22 BOARD MEMBER HANSON: Yeah, I see that down
23 there.

24 MS. ANDERSON: -- on the ozone in the Upper
25 Green, continues to be the big topic for Air Quality

1 Division and the State of Wyoming.

2 And then finally Steve is going to catch you up
3 on what's going on with the greenhouse gases.

4 So with that, I am going to turn it over to Jeni,
5 who is going to introduce you to the changes in Chapter 4.

6 MS. CEDERLE: Good morning. My name is
7 Jeni Cederle. I'm with the Air Quality Division, and we're
8 going to take a look at the revisions to Chapter 4, our
9 State Performance Standards for Specific Existing Sources.

10 Most of the sections in the chapter are required
11 by EPA under the Clean Air Act Section 111(d). Chapter 4,
12 Section 5 is a big chunk of what we're focusing on today,
13 adopting amended emission limits. We'll also see some
14 revised compliance monitoring and reporting pieces of it.

15 And this is focused on existing Hospital Medical
16 Infectious Waste Incinerators, or HMIWIs. You'll hear me
17 refer to HMIWIs. So I'll just say that all day long. The
18 changes are being proposed to update Wyoming's
19 recommendations to match the new federal guidelines.

20 We'll start off with a little bit of background.
21 Wyoming submitted a HMIWI state plan in 1999, which was
22 approved and published in the Federal Register in June
23 of 2000, became effective in August 6, 2000. Since then
24 the federal emission guidelines for existing HMIWIs have
25 been amended and published in the Federal Register as of

1 October 6, 2009. The amended emission limits impose more
2 stringent limits on those -- on sources specified by the
3 original 1997 HMIWI regulations.

4 So our goal is to adopt the amended emission
5 limits into our state regulations to get the legal
6 authority to continue to regulate the source through a
7 revised state plan. So we have a state plan in place from
8 1999, but we've had amended emission limits from the
9 federal government as of '09.

10 The adopted rules are to be no more stringent
11 than those promulgated by the EPA. The revised state plans
12 off of the amended emission limits were due by October 6,
13 2010. This didn't happen, as our rules had yet to be
14 updated and adopted. The amended emission limits became
15 effectuated -- became effective and enforceable as soon as
16 possible after the EPA would have approved our state plan,
17 but no longer than three years, or we would have five years
18 after the date of the rule promulgation. So right now our
19 five-year mark will be October 6, 2014.

20 We have one facility in the state of Wyoming, in
21 Casper, and it's the Wyoming Medical Center. Currently the
22 incinerator operated there is being operated under a Title
23 V permit and is in full compliance with the current
24 applicable state and federal regulations. So we're still
25 operating within the legal boundaries.

1 Once our Wyoming regulations are adopted, the
2 State will then submit a revised state plan to the EPA for
3 approval, which will then allow the State of Wyoming to
4 regulate the source as was done under the 1999 state plan.

5 With this rule revision process, the pieces of
6 the amended rule are really intricate, and so in the end we
7 ended -- we opted to strike out all of the current Wyoming
8 regs language and bring the amended Federal Rule into state
9 format. If you go ahead and take a look at Chapter 4, we
10 amended Sections 1, 5, and 6; 5 being the bulk of it. We
11 take a look at the introduction, Section 1, you'll see that
12 we added Section 6 to be an incorporation by reference
13 there.

14 We'll move on to Section 5, which is page 4-37.
15 Everything ahead of that is all of our old language from
16 the regs striked out. And beginning with part (a),
17 Definitions, we removed the entire list of definitions and
18 incorporated CFR reference. This will allow the state to
19 update future changes to the definitions and let them occur
20 without having to reopen the chapter. Basically you'll see
21 that it pushes you out to another CFR, and all of the old
22 definitions that were in our old regs are current and up to
23 date with what the CFR pushes you out to.

24 And part (b), Applicability, which is just on the
25 same page, 4-37, this is kind of where the guts of the rule

1 changes come in. The new rule includes phased trigger
2 dates, which I'm -- trigger dates is more my language, to
3 kind of help me along with what they've done. These
4 trigger dates determine when an affected facility must
5 comply with amended or lower emission limits. And what
6 they've done here is you'll see for A and B they've added
7 in what I refer to for A, capital A, trigger date number 1,
8 constructed on or before June 20, 1996 or modified on or
9 before March 16, 1998. The new language added to that that
10 differs from our old regs in the modified section,
11 otherwise there was our own trigger date in our old regs.

12 Trigger date number 2, construction would
13 commence after June of 1996, or June 20, 1996, but no later
14 than December 1, 2008, or modified after March 16, 1998,
15 but no later than April 10th, 2010.

16 Our facility is considered existing under the
17 amended rules and falls under trigger date -- what I refer
18 to as trigger date number 1. But those are the two big
19 changes that they've added in here. The second part didn't
20 even exist.

21 And we kind of move a little bit forward to
22 page -- just flip it over to page 4-38, you'll see Subpart
23 (B)(x). What they've done here, at bottom of the page for
24 10, is the -- the bigger -- another piece of the change to
25 the new rules is the inclusion of language that will

1 eventually push all of our facilities to operate under the
2 new lower emission limits. Currently our facility is
3 complying with the 1997 emission limits, and that's okay,
4 but we'll be expected to comply with the amended rule by
5 the October 6, 2014 date. And that's what that paragraph
6 is getting into so that eventually existing things will
7 push up and work under the new -- the lower emission
8 limits.

9 Moving on to C, Emission Limits, which is on page
10 4-39. The new rule includes more stringent emission
11 limits, based off the new trigger dates for all HMIWI. As
12 you go through, Tables 1B and 2B represent the new emission
13 limits.

14 Moving on to Section D, Operator Training on
15 page -- operator training and Part (e), Waste Management
16 Plan, page 4-43, have not changed; however, they are now
17 being referenced through the appropriate CFR. Before we
18 had listed out all of the steps, and now they're pushing
19 you out to about the Subpart Ec.

20 Part (f), starting on page 4-43, Inspection
21 Requirements, our old rule required initial and annual
22 equipment inspections. The new rule requires those same
23 initial annual equipment inspections, as well as initial
24 and annual air pollution control device inspections. We'll
25 go on to part (g), Compliance, Performance Testing, and

1 Monitoring Requirements. One of the big pieces of this
2 that they changed was that our -- the old regs allowed the
3 exception -- an exemption for startup, shutdown, and
4 malfunction for compliance, that has been removed, and now
5 emission limits will apply at all times.

6 And what you'll see through the bulk of this is
7 that we start off from the beginning, you know, this is how
8 you can comply with this regulation, they'll send you out
9 to Subpart Ec, and then the following is the "but," the
10 exclusions.

11 To kind of give you an overall view of the new
12 things, a lot of it's very similar to the old regs, but
13 there are some new pieces. The remainder of the updates
14 are additions or revisions to the 1997 rule, and I'll just
15 kind of summarize what some of the changes were for you,
16 since it was pretty extensive going through all the
17 different CFRs.

18 Existing sources are allowed to use previous
19 emission test results to demonstrate compliance with the
20 revised emission limits. All HMIWI are required to test
21 and comply with the new NOx and SO2 emission limits. New
22 performance testing requirements for small and rural HMIWI
23 will be in place. But that doesn't apply to us. We're
24 actually a medium-sized HMIWI.

25 So new sources utilize continuous emissions

1 monitoring systems or bad leak detection systems. They'll
2 have new and improved monitoring alternatives for all
3 HMIWI. They have some alternatives for existing, such as
4 they can use the CO CEMS, which is the continuous emission
5 monitoring systems, but also new and existing would be
6 given the option to use PM, hydrogen fluoride, and mercury
7 CEMS monitoring, monitoring requirements for HMIWI, there
8 will be monitoring requirements for even that. So
9 selective noncatalytic reduction technology to reduce NOx,
10 and that's what was really tied into the compliance
11 performance testing and monitoring section.

12 Moving on from there, Part (h).

13 BOARD MEMBER BROWN: Which page are you on?

14 MS. CEDERLE: I'm on page 4-48. We're into
15 the Reporting and Recordkeeping Requirements. Our old regs
16 were fairly mimicked to this 40 CFR 60.58c through g,
17 Subpart Ec. And Subpart Ec is what we're seeing get pushed
18 out of -- that's where they're getting directed throughout
19 the new regs as well.

20 Right now the new regulations are the same as the
21 old, but we're seeing some requirements specific about the
22 air pollution control devices and bad leak detection.
23 We'll also see some new language about procedures for test
24 data submittal, and it's electronic.

25 Moving on to section (i), which is page 4-49,

1 Compliance Times. The facility, again, is to comply three
2 years after EPA approves the state plan, but no later than
3 October 6, 2014. However, there is a provision for an
4 extension process, and that is the same as our old regs and
5 up to this date.

6 Section 6 on page 4-50 is our new section that
7 we've added in for Incorporation by Reference, and this
8 will keep our -- help us keep our regulations as up to date
9 as possible as revisions to the final rule are made.

10 Does anybody have any questions or thoughts?

11 BOARD MEMBER HANSON: Yes. I tried to read
12 through this whole thing, and the one thing that occurred
13 to me, I presume other Wyoming hospitals deliver their
14 biohazard to this facility, right?

15 MS. CEDERLE: I'm not sure on that.

16 MS. ANDERSON: They do.

17 BOARD MEMBER HANSON: They must get rid of
18 it in some fashion, right?

19 MS. ANDERSON: They can either take it to a
20 landfill, if the landfill is willing to accept it --

21 BOARD MEMBER HANSON: Yes.

22 MS. ANDERSON: -- or they can truck it down
23 to Wyoming Medical Center.

24 BOARD MEMBER HANSON: And that was the
25 question. I saw nothing about I presume biohazard being

1 transported on the highways is a certain risk, a certain
2 danger. Is there anything in the regulations that that is
3 regulated in some fashion?

4 MS. CEDERLE: Not that I'm aware of.

5 BOARD MEMBER BROWN: That would be DOT
6 regulations, if anything.

7 BOARD MEMBER HANSON: That would be DOT
8 regulations?

9 BOARD MEMBER BROWN: If there are any.

10 BOARD MEMBER HANSON: Because, you know,
11 you can well see we burn the stuff very judiciously, and
12 rightly so, and -- but on the way it flies all over the
13 place and could be a pollution hazard.

14 MS. CEDERLE: Absolutely.

15 BOARD MEMBER HANSON: Maybe that's just a
16 dumb question, but is there something like that?

17 MS. CEDERLE: It's something I can look
18 into and try and go through the Department of
19 Transportation, but currently, through our Air Quality
20 rules, we don't have anything like that to -- we're
21 regulating the emission off of it, when it's --

22 BOARD MEMBER HANSON: You mentioned other
23 facilities they probably put it in the landfill. You know,
24 of course we have very stringent landfill regulations of
25 what you can put into a landfill these days. We have this

1 problem in -- in Laramie, you know, what can end up there
2 and what can't, et cetera, et cetera. So I -- I can hardly
3 imagine that this stuff can end up in a landfill, because
4 it would probably fly in the face of groundwater
5 regulations that we have in place as far as the state is
6 concerned. So it mysteriously vanishes somehow, and I --
7 I -- I'm concerned about that.

8 MS. CEDERLE: It's a valid concern.

9 Our regs also do -- Chapter 4, Section 4 also
10 covers existing municipal solid waste landfills. So there
11 is regulation on the landfills out there --

12 BOARD MEMBER HANSON: Yes.

13 MS. CEDERLE: -- but as far as I know,
14 there's nothing from the federal government --

15 BOARD MEMBER HANSON: Okay.

16 MS. CEDERLE: -- that haven't crept up.

17 BOARD MEMBER HANSON: I was just wondering.
18 That was my concern here.

19 MS. CEDERLE: Absolutely.

20 MR. DIETRICH: If I may, these regulations
21 all talk about, that Jeni just went over, deals with
22 incineration, and dealing with getting rid of it that way.
23 From the landfill perspective, there are hazardous and
24 solid waste regulations in this state, and also the federal
25 level, that do deal with how to containerize and transport.

1 BOARD MEMBER HANSON: Okay.

2 MR. DIETRICH: They match pretty well with
3 the DOT regulations as well. So to alleviate your
4 concerns, there are regulations that do cover that.

5 BOARD MEMBER HANSON: Good. Thank you.
6 Just want to be sure.

7 BOARD MEMBER BROWN: Do we have any
8 questions or discussion from the public?

9 MS. CEDERLE: Thank you very much.

10 BOARD MEMBER BROWN: Would it be better if
11 we talked about each one and moved on to the next, or
12 approve everything at the end?

13 MR. DIETRICH: You want to cover all of
14 them, Tina, and then --

15 MS. ANDERSON: That's up to you.

16 BOARD MEMBER BROWN: Why don't we do them
17 right now so we can -- they're fresh in our mind. That way
18 we'll have it over with, if that's okay with you guys.

19 BOARD MEMBER WASSERBURGER: Mr. Chairman, I
20 would move that we adopt language presented by staff,
21 striking out any language so indicated and adding new
22 languages as indicated by staff.

23 BOARD MEMBER BROWN: Do I have a second?

24 BOARD MEMBER HULME: Second.

25 BOARD MEMBER BROWN: Okay. We propose to

1 approve language as -- as written by the staff, and
2 adopting the language and the rules set before us.

3 And any other -- any other questions before we
4 go --

5 BOARD MEMBER HANSON: One suggestion.

6 BOARD MEMBER BROWN: Okay.

7 BOARD MEMBER HANSON: Page 4-37, since I'm
8 always the grammarian, the scope, first paragraph A,
9 Definitions, there's a word missing here, "Terms used but
10 not defined," I think it's "in this section" --

11 MR. DIETRICH: Very good.

12 BOARD MEMBER HANSON: -- "have the
13 meaning." Once in a while I catch something like that.

14 MR. DIETRICH: Okay.

15 BOARD MEMBER BROWN: Any other questions?
16 Comments?

17 Okay. Next item, Chapter 5, National Emission
18 Standards.

19 MS. ANDERSON: This is where we're going to
20 do a lot of jumping up and down and making you move. I'm
21 going to start this off, and then we're going to have you
22 get up and move to the front so you can see what the
23 projector shows.

24 So Chapter 5. You've been through this before,
25 but remind you, this is our National Emission Standards.

1 These are regulations that are required on specific source
2 sectors identified by the EPA, and they're required all
3 over the country. Everybody has to meet them whether -- no
4 matter how you vote today, the only difference is if we
5 incorporate these into our regulations, it's the State of
6 Wyoming that will be enforcing and implementing the rule
7 rather than the EPA. And for the most part, that's the way
8 the industries in this state have preferred that we
9 regulate that way.

10 So beginning on page 5-1, some very rather
11 insignificant changes. They -- we are simply, under
12 Subpart D and Da, we are simply changing the titles. We're
13 removing the dates that are associated with those
14 particular standards. It's not that the -- that the dates
15 are going away. The sources that are constructed in these
16 time frames are still the sources have to comply with these
17 rules, but EPA simply removed the dates from the titles.
18 So pretty subtle changes there. But it's really easier in
19 the long run if we stay on the same page as EPA as to
20 these.

21 And the next set of changes will begin on page
22 5-6, and they look a little bit different in their format
23 than what we normally do. So normally we adopt by
24 reference from the Code of Federal Regulations. And here
25 you'll see that we're adopting -- proposing to adopt from

1 the Federal Register. The Federal Register is a periodical
2 that the United States government puts out with all the
3 proposed and final regulations, and then those are then
4 codified in the Code of Federal Regulations. That takes
5 about a year to get those all caught up. Because these
6 particular regulations are extremely important to the state
7 of Wyoming, they deal with oil and gas, we have decided not
8 to wait the whole year for them to get pulled into the CFR.
9 So we will adopt them directly from the Federal Register,
10 and then when the year has passed, they will be moved into
11 the CFR when we come back to you with the next round of
12 adoptions. Okay?

13 BOARD MEMBER HANSON: Tina, one question.
14 It keeps on talking there about onshore. That refers to
15 the continuous entire United States, vis-a-vis offshore, I
16 presume, somewhere out in the ocean.

17 MS. ANDERSON: Right.

18 BOARD MEMBER HANSON: Okay. Thank you. I
19 just wondered why we had onshore regulation here.

20 MS. ANDERSON: Yeah, you know that there
21 are drill rigs that sit out in the middle of the ocean --

22 BOARD MEMBER HANSON: Sure.

23 MS. ANDERSON: -- and they have another set
24 of regulations.

25 BOARD MEMBER HANSON: Yeah. Thank you.

1 MS. ANDERSON: And Mark is going to be
2 going through detail about what that means, but I also
3 wanted to tell you on page 5-40, which is the -- in the
4 NESHAP section, there's another set of regulations that
5 have come in dealing with oil and gas. They are subpart --
6 changes in Subpart HH and Subpart HHH. Those, along with
7 what you see on page 5-6, were all proposed and finalized
8 together. And Mark is going to talk about these, so we're
9 going to have him talk about them from both sections all at
10 once. So you'll -- I'm just giving you a heads-up on that.

11 BOARD MEMBER HANSON: Okay.

12 MS. ANDERSON: So -- and then we'll come
13 back and hit what's left in the chapter.

14 So with that, we'll ask you to move down to the
15 front row, and we'll boot up the projector.

16 And Mark, will you come forward.

17 Of course it worked much better when we were --

18 MR. DIETRICH: There you go. It's getting
19 brighter.

20 MR. SMITH: Okay. What's that?

21 MS. ANDERSON: You'll want to state your
22 name for the court reporter.

23 MR. SMITH: My name is Mark Smith, I'm with
24 the Air Quality Division. I do oil and gas production,
25 facility permitting.

1 So what I'm going to talk about here today is the
2 new Subpart 0000, which came into effect -- was put in the
3 Register back in August and became effective in October and
4 everything. And how that -- how that rule affects our oil
5 and gas production facilities in the state and the rules
6 that we already have in place and where we have
7 similarities and differences and what we're doing to
8 address some of those -- some of those differences.

9 So next one.

10 Like I said, this rule affects any production
11 facilities basically from the wellhead to the city gate, so
12 it covers oil and gas, I mean, in general, all the way up
13 to that point. So it's anything that's constructed or
14 modified after August 23rd, 2011.

15 Some of the main points that come out of 0000
16 that are going to affect us is this requirement for reduced
17 emissions completions or green completions. What that is
18 is a technique that the industry has developed that allows
19 them to bring on specialized four-phase separation
20 equipment and bring -- when they're flowing back the well,
21 there's sand and different proppant materials that they use
22 to frack the wells with. There's sand and then there's
23 solids that come up from the wellbore. So that stuff comes
24 back up and they can put particulate and sand filters and
25 traps in there so that when they're flowing back, they can

1 put that gas to a sales line to thereby reduce emissions
2 and reduce flaring at the production sites.

3 The way it's worded in 0000 says that it's only
4 at hydraulically fractured gas wells. So that's something
5 I can -- I'm going to get into a little bit later, also.
6 So I just wanted to cover what the -- what that reduced
7 emission or green completion that they're requiring is for.

8 The next thing on here, pneumatic controllers at
9 production facilities are going to be required to be low
10 bleed/no bleed, and that limit for the low bleed is from
11 the Gastar program, which is 6 cubic foot of gas per hour,
12 is what that bleed rate can be. It has to be less than
13 that to be considered low bleed.

14 The Subpart 0000 also affects individual storage
15 tanks at production sites, compressor stations, anything
16 along the way. They're storing high carbon --

17 THE REPORTER: I'm sorry. Can you repeat
18 that?

19 MR. SMITH: What's that?

20 THE REPORTER: I have production sites --

21 MR. SMITH: Production sites and compressor
22 stations, any of the facilities up through -- like I said,
23 up through city gates stuff. Any place where there's a
24 storage tank that has VOC emissions, that's what this
25 subpart is going to affect. And that -- that emission rate

1 is 6 tons per year, and then they have to meet control
2 requirements of 95 percent, and it's on a per-tank basis.

3 Next one.

4 The next one gets into pneumatic controllers at
5 the gas processing plants. It will be like a gas plant
6 where they actually process the gas and remove the heavier
7 ends and get them processed and ready to go out to
8 distribution systems where they clean it up, where it's
9 99 percent plus methane, which is what you get sent to your
10 house, everything like that. So all those controllers at
11 those facilities would be required to be zero bleed
12 devices, and that's something new that hasn't been in place
13 before. They've had other different versions of
14 controllers at the sites.

15 And then it gets into reciprocating compressors,
16 where they don't set any limits on the engines themselves,
17 but it's set -- for reciprocating compressors, they have to
18 change out the rod packing. That's just one of the
19 requirements that they propose in there, and it has to be
20 every 26,000 hours or 36 months. And it's something we
21 don't have any requirements for that, so we'll just be
22 adopting that, and the facilities will have to comply with
23 that for updating facilities after August 23, 2011 date.

24 And then centrifugal compressors with wet
25 seals -- this only affects the wet seal compressors, not

1 dry seals. There's different versions of seals on the
2 compressors, and they have to reduce those wet seal
3 emissions by 95 percent.

4 Next one.

5 Then here's where we get into some of the
6 differences between what we require and what this new rule
7 requires. A lot of the language that is in the 0000 rule
8 was taken from the green completion requirements that we
9 had and implemented since 2005 in the Jonah-Pinedale area.
10 And then with our latest revisions to the guidance in 2010,
11 we expanded those green completion requirements out to the
12 seven counties in the southwest part of the state, which
13 Uinta, Lincoln, Sublette, Sweetwater, Fremont, Carbon, and
14 Natrona. So all the operators in those areas were
15 required, per the guidance, to come in and get green
16 completion permits, and then there's monitoring and
17 recordkeeping requirements that they have to submit to us
18 every -- whenever they complete new wells.

19 Ours is different from theirs, whereas the 0000
20 requires this after January 1, 2015. Right now they're
21 encouraging operators to use completion combustion devices,
22 which has required flaring at the sites, rather than
23 venting. From most of the stuff I've seen, typically the
24 operators are flaring during completions anyways. They
25 just vent that gas that can create a safety hazard for

1 their employees during the completion phase.

2 So their JDPA for 0000 is encouraging completion
3 combustion devices at this time, and then after 2015,
4 January 1st, they're requiring the reduced emission
5 completions where it's possible. There's some caveats to
6 that where it's kind of the same as our rules there.

7 There has to be infrastructure in place to be
8 able to do the green completions. I find where they can
9 actually sell the gas, it doesn't create safety hazards and
10 things like that. We have our -- the green completion
11 permits we have have various reasonings and may have to
12 submit in their reports as to why they have to flare X
13 amount of gas and volumes, everything like that, but it
14 definitely does reduce the emissions from that completion
15 phase.

16 Our requirements don't specify oil wells versus
17 gas wells, so that is one difference from the 0000 subpart.
18 Ours just require where -- if at all possible in those
19 areas. And that was one of the --

20 Do you want me to talk about the comments we got
21 from Wyoming Outdoor Council, or do you want to wait until
22 the end?

23 MR. DIETRICH: Any time you want.

24 MS. ANDERSON: Why don't you go ahead and
25 address them, if you can, and Steve might have some

1 comments to add to it.

2 MR. DIETRICH: Yep.

3 MR. SMITH: One of the comments they had in
4 here was the flaring from oil wells that are in the eastern
5 side of the state. We've seen a lot of development in
6 Converse County and southern Campbell County. And in those
7 areas we don't have -- industry doesn't have infrastructure
8 in place in the new fields, and they're principally
9 drilling for oil. So they're not subject -- it wouldn't be
10 subject to the OOOO rules if they were in place right now
11 either. Part of the stuff we're looking at in terms of
12 possible guidance emissions would be expanding our CDA
13 requirements into these new areas. That's something -- I
14 think we're evaluating that right now and hoping to try to
15 be able to reduce those flaring emissions, like we have
16 gotten some comments and stuff on.

17 Those are just some of the differences, where
18 they say gas wells, we wouldn't -- we would expand our
19 requirements. We wouldn't -- we wouldn't specify gas
20 wells. It would just be production sites in general.

21 Did you have anything else?

22 MR. DIETRICH: Well, some of these coincide
23 with Tina coming up, and Darla's going to touch on too. I
24 was just going to say overall the comments that they did
25 make was in favor of what we're going to do, rather than

1 against it. But they wanted Wyoming to retain any stricter
2 requirements that the Subpart 0000 doesn't cover. So I
3 think I'll just stop there.

4 MR. SMITH: Okay. Okay. I think that's --
5 we can go to the next one.

6 The low bleed/no bleed pneumatic that Subpart
7 0000 is requiring, it is effective -- I think October 15,
8 2012 is when they were requiring those to be -- any new
9 facilities after that would have to have those on start-up,
10 and I think they have a year on facilities that were
11 constructed after 2011, to go back and replace those. Our
12 requirements -- we've had that requirement in since the
13 August 1, 2010 guidance revision, so that really isn't
14 going to make much of a difference in terms of what we see
15 in our rules.

16 Go to the next one.

17 The tank emissions is where we have a little bit
18 of difference. The 0000, like I said earlier, requires
19 any -- any tank at an oil and gas production facility will
20 be subject to a 6-ton-per-year limit. All the tanks and
21 new tanks being installed in Jonah-Pinedale area would be
22 required to have controls on startup, regardless of the
23 emissions, everything that we put in there for control on
24 startup.

25 The Concentrated Development Area, which I

1 mentioned the seven southwest counties, any -- any
2 multiple-well facility that's being constructed, they have
3 to have controls upon startup, similar to the
4 Jonah-Pinedale. A single-well facility would be required
5 to have controls if tank emissions from that facility were
6 greater than 8 tons, but that would be across the facility.
7 So they could have 4 tons -- or 4 tanks, and if they had
8 9 tons, we'd require them to control it. Whereas under
9 0000, technically if they had 24 tons or 23 tons, they
10 wouldn't have to, because they could say there's 5.9 tons
11 coming from each individual tank. And we have -- we've
12 always looked at it as one -- as one source, rather than on
13 a per tank basis. So that's one of those areas it could be
14 different. And the same thing in the statewide area,
15 everything -- tank emissions are greater than 10 tons,
16 that's where we require controls, and that would be 60 days
17 of startup on new wells.

18 All right. Then this is where it gets into some
19 of the leak detection programs that were under KKK. And
20 things that they've -- they've basically bookend into the
21 KKK and LLL subparts. So that any facility that's
22 constructed between January 20, 1984 and August 23, 2011
23 will still remain under those leak detection limits that
24 are under those subparts, and anything newly constructed
25 after the August 20 -- August 23rd date would be subject

1 under 0000. They kind of did it to eliminate redundancy.
2 Everyone wished it to be under one subpart, instead of
3 having multiple subparts. They had to have those by the
4 emission rates they have to be under.

5 Under the KKK they revised, they're moving the
6 leak detection rate to be the same as what's under Subpart
7 VVa, which I believe is for refineries? I can't remember.
8 But it lowers the leak detection for valves from 10,000
9 parts per million VOC content down to 500. And they
10 monitor -- it used to be only for valves, then it's also
11 connectors, pumps --

12 THE REPORTER: I'm sorry. Connectors --

13 MR. SMITH: Connectors, pumps, pressure
14 relief devices, open-ended valves and lines. So it's a
15 full leak detection program, so anything that -- any places
16 along the -- in the system that has potential for leaks
17 have to be monitored with some type of device that can
18 detect VOC content from escaping from those connections.

19 The Subpart LLL revisions is for sulfur recovery
20 systems at natural gas processing plants. And that's --
21 that is increasing the control efficiently to remove sulfur
22 from 99.8 percent to 99.9 percent from a sulfur production
23 facility that produces at least 5 tons -- 5 long tons per
24 day.

25 And then here this is the -- this is my last

1 slide, so you don't have to listen to me talk anymore.

2 This gets into the NESHAPS. There wasn't a lot
3 of changes. These are only going to affect what they
4 consider small glycol dehydration units at major sources,
5 and they have -- each one has its own version of what a
6 small dehydration unit is, its throughput and emission
7 rates. They set different concentration limits for what
8 the -- what the BTEX emissions -- benzene, toluene,
9 ethylbenzene, xylene -- what these emission limits can be,
10 and it's a long drawn-out equation based on the
11 concentration of the BTEX and the gas stream is going
12 through in that dehydration unit, and it's a nightmare.
13 That's why I didn't put it up here.

14 But the way that any of the -- any sources that
15 we have in the state, this could possibly affect when they
16 come in for a -- for a construction permit, going through
17 the MACT process as a new source they would -- our limits
18 for MACT are more stringent than what these concentration
19 limits would be. So I don't see a big effect on any of our
20 sites, so...

21 The leak detection under HH only affects -- only
22 affects valves at this one, whereas the other one affected
23 all the other types of connectors and everything at the
24 site. This is just going to be at -- at those valves down
25 to that 500 parts per million VOC content, and then

1 eliminates any exemptions from complying with the standards
2 during startup, shutdown and maintenance.

3 And the HHH -- I guess HH affects smoke in gas
4 plants, and then HHH is a dehy unit of major source that's
5 at a distribution system. So it's pretty much before it
6 gets into the city gate to come to the distribution network
7 to go to everyone's houses and everything.

8 They have different -- it's another different
9 weird equation with concentration of BTEX and everything.
10 But we don't have typically too many of those, so
11 there's -- we don't look like it's going to affect many of
12 our sources. And then also one of those updates was it
13 remains an exemption from compliance during startup,
14 shutdown, malfunction time.

15 That's all I have, unless anyone has any
16 questions.

17 MS. ANDERSON: Probably ask you to come
18 back up. This will keep you awake.

19 MR. SMITH: It's -- BTEX is benzene,
20 toluene, ethylbenzene, xylene.

21 BOARD MEMBER HANSON: And MACT?

22 MR. SMITH: That's MACT --

23 THE REPORTER: I'm sorry. I need to hear.

24 MR. SMITH: I'm sorry. MACT is Maximum
25 Achievable Control Technology, and then BTEX is the

1 benzene, toluene, ethylbenzene, and xylene.

2 BOARD MEMBER HANSON: Sorry.

3 MS. VEHR: This is Nancy. And I'm going to
4 interrupt just really quickly.

5 Where we've got a court reporter, you've got to
6 make sure when you're talking, to either identify yourself
7 if you're someone that's not one of the board members, as
8 well as, for purposes of her reporting, to make sure she
9 can hear you. So speak clearly and slowly. And if there's
10 any other things, she'll keep us on our toes. Thank you.

11 MS. ANDERSON: Did you guys have any
12 questions?

13 BOARD MEMBER HULME: I had a question.

14 BOARD MEMBER BROWN: Okay.

15 BOARD MEMBER HULME: A just had a
16 clarifying question. I obviously missed something here.
17 So we're looking at adopting the Federal Register version
18 of Subpart 0000 right now, right?

19 MR. SMITH: Uh-huh.

20 BOARD MEMBER HULME: But we have the
21 Wyoming P-BACT Guidance, which is more stringent and is in
22 effect right now?

23 MR. SMITH: Uh-huh.

24 BOARD MEMBER HULME: I'm just confused by
25 the word -- it's called P-BACT Guidance, but in what you

1 presented these were requirements. And so I'm kind of a
2 little -- guidance to me is more of a nice suggestion, we
3 prefer you do that, but required is obviously required.

4 MR. SMITH: Okay.

5 BOARD MEMBER HULME: So I'm confused how
6 this is panning out with enforcement and -- which is it, I
7 guess.

8 MR. DIETRICH: Good question.

9 MR. SMITH: The presumption of P-BACT,
10 which is the Presumptive BACT Guidance, is how we allow the
11 operators to permit their facilities and to start them up.
12 They're allowed to drill their wells, complete them, and
13 start flowing them back, start producing the wells, prior
14 to getting the permit, as long as they follow the rules
15 that are under the Presumptive BACT requirement. So if
16 they follow those rules and control when it's setting those
17 deadlines and follow everything we have set forth, they're
18 allowed to construct that facility prior to getting a
19 permit.

20 That's where some of the differences in the
21 guidance -- and that's -- the way the rule is written under
22 the 0000, they still have -- it works -- works kind of the
23 same way. They're still allowed to drill their wells and
24 complete that to produce their facilities, they just have
25 to meet those control requirements the same way.

1 MR. DIETRICH: Diane had an additional
2 question there, too, as well as enforcement, with guidance
3 rather than regulation.

4 BOARD MEMBER HULME: Right. I mean --

5 MR. SMITH: Oh, in terms -- okay.

6 BOARD MEMBER HULME: You say they're
7 required to do it, but it's not -- I mean, this -- in
8 our -- is it in the Air Quality Rules and Regs that they do
9 this at this point?

10 MR. DIETRICH: The guidance is tied to our
11 Chapter 6, Section 2 regulations which requires permitting
12 for any facility out there that makes emissions. We handle
13 this through guidance. It's a long history of it. There's
14 a lot of revisions that have been done to the guidance.
15 It's been very successful. And Mark's right, once you get
16 a permit, then you're tied to Chapter 6, Section 2 anyway
17 by getting a permit.

18 BOARD MEMBER HULME: Okay. Right. Right.

19 MR. DIETRICH: But this merely just allows
20 additional work to happen prior to getting a permit. It
21 does reduce emissions on a voluntary basis through
22 guidance, so you're correct there.

23 BOARD MEMBER HULME: Okay.

24 MR. DIETRICH: We have had great success
25 with enforcement under that guidance.

1 MR. SMITH: Yeah, during the permitting
2 process, if we -- if they -- you know, they submit
3 application to us, we have all these -- all these dates and
4 everything that we know that the first date of the
5 production is this, and they have to submit application by
6 such a date, and in their application they have control --
7 control installation dates, when they were installed and
8 everything.

9 So we can -- we can go back if -- you know, if
10 someone submits an application that's two years late and
11 was never controlled, we can go back and take enforcement
12 on those -- on that facility if they -- they never
13 installed their controls and they finally come in and get a
14 permit, I'll write that up in my analysis that we do when
15 we draft the permits, and that goes out to public notice,
16 and then send that over to our compliance staff and say,
17 well, there's this facility, here's their application they
18 sent in, it was such and such late, just didn't have
19 controls required, we're writing a permit requiring them to
20 install these controls because their emissions are above
21 our thresholds, and it gets handed off to them and
22 enforcement people can do that. And we have issued notices
23 of violation on people that haven't followed the
24 requirements under the BACT guidance.

25 BOARD MEMBER HULME: Can I have some more

1 follow-up?

2 BOARD MEMBER BROWN: Yes.

3 BOARD MEMBER HULME: So if we adopt Subpart
4 0000, we're still going to keep our more stringent
5 requirements?

6 MR. DIETRICH: Yes, ma'am.

7 BOARD MEMBER HULME: Okay.

8 MR. SMITH: It just -- it will allow us --
9 it will allow us to do some of the -- like centrifugal
10 compressors, since we don't have specific regulations on
11 the vent seals on a centrifugal compressor, we can just say
12 they have to comply with the 0000.

13 BOARD MEMBER HULME: Thank you.

14 MR. SMITH: Uh-huh.

15 BOARD MEMBER BROWN: Thank you.

16 Do we have any comments from public? Questions?
17 Concerns?

18 MR. DAILEY: I have one question.

19 BOARD MEMBER BROWN: Could you come on up?

20 MR. DAILEY: My name is Bernie Dailey
21 from --

22 THE REPORTER: I'm sorry. I cannot hear.
23 Can you come up?

24 MR. DAILEY: Okay.

25 THE REPORTER: Can you state your name

1 again?

2 MR. DAILEY: Yeah, Bernie Dailey with
3 McVehil-Monnett Associates.

4 And my question, Mark, was you said on those
5 small dehy's, that the guidance and the regulations already
6 cover the emission limits. What about recordkeeping and
7 reporting, is there going to be additional monitoring, or
8 does that -- does that come into -- to play now with the
9 new rule?

10 MR. SMITH: Yeah, with Subpart -- with
11 Subpart HH, those records -- those recordkeeping and
12 reporting requirements, those all still just go to EPA. I
13 don't know if -- I guess I'm not sure how that -- how that
14 will work with us, if they have to send us -- they might
15 have to send us a copy. Most of what those recordkeeping
16 and reporting requirements are is they maintain their
17 records showing that they're under the limits that are set
18 forth by that -- by these -- by that -- that emission
19 contemplation to show that they're not subject -- they're
20 exempt from the control requirements of it. That's --
21 that's basically all the recordkeeping that I've seen is
22 just they have to show that they're not subject to that
23 subpart, because they're under the emissions that would be
24 required under those controls.

25 MR. DAILEY: Thanks, Mark.

1 BOARD MEMBER BROWN: Any others questions?
2 Comments?

3 MR. DIETRICH: Thanks, Mark.

4 MR. SMITH: Thank you.

5 MS. ANDERSON: We still have some more
6 stuff in Chapter 5.

7 BOARD MEMBER BROWN: Still more stuff,
8 okay.

9 MS. ANDERSON: Okay. We've caught a -- an
10 oversight here regarding the ways and means of getting this
11 adopted. So on page 5-6, if you'll look at that.

12 Like I talked about before, we are proposing to
13 adopt from the Federal Register, which we don't normally
14 do. The mechanism for adopting is in back of this chapter
15 through the Code of Federal Regulations, so those aren't
16 quite jiving. So what I'd like to propose is take this
17 language -- it's on the very back of this section on page
18 5-46 -- regarding the incorporation by reference and modify
19 it so it's appropriate in this place for the Federal
20 Register. And I'll read to you what I'm going to suggest
21 we incorporate, and we would pull what I'm going to --
22 about to read into the two sections that Mark just
23 discussed that are being adopted by -- adopted by
24 reference.

25 So we would say something to the effect all

1 Federal Register articles cited in this chapter and
2 published on August 16, 2012, not including any later
3 amendments, are incorporated by reference. Copies of the
4 Federal Register available for public inspection and copies
5 can be obtained at cost from the Department of
6 Environmental Quality, Division of Air Quality, 122 West
7 25th Street, Cheyenne, Wyoming 82002. Copies of the
8 Federal Registers can also be obtained directly from the
9 federal government, or something -- something close to
10 that. If I have your permission to make that adjustment.

11 So we would leave what we have in place for the
12 CFR portion and incorporate something close to what I just
13 read on page 5-6, and, again, on page 5-40. 5-40 was the
14 National Emission Standards for Hazardous Air Pollutants,
15 what we call NESHAPS. They're in a different section,
16 because those deal with hazardous air pollutants. The
17 earlier ones dealt with what we call criteria pollutants,
18 it's the sulfur dioxides, the nitrous oxides, and the
19 particulate matters. So I'm just trying to make changes on
20 the fly here.

21 So there's that. And then we have one more
22 change on page 5-40. It looks small, but it's actually
23 quite big. It's 40 CFR Part 63 Subpart 5U. These are the
24 National Emission Standards for Hazardous Air Pollutants
25 from coal- and oil-fired electric utility generating --

1 steam generating units. These have had different names
2 over the years. Right now they're calling them utility
3 MATS, which is Mercury and Air Toxics rule. These rules
4 have been in development since 1990, so 23 years in
5 development. And they're talking about regulating mercury
6 and other hazardous pollutants from large utilities.

7 And this has -- was introduced, actually, in the
8 Clean Air Act amendments of 1990. At that time EPA was
9 required to do a study to determine if it was even
10 reasonable or necessary to regulate hazardous air
11 pollutants from utilities.

12 By 1998 they released their study, and by 2000 a
13 determination was made by the EPA that it was reasonable
14 and necessary to regulate. Administrations come and go.
15 The next administration reversed this ruling -- this
16 determination, I should say, and decided that instead of
17 regulating these air pollutants as hazardous air pollutants
18 under 112 of the Clean Air Act, that the whole regulation
19 would be shifted to 111 of the Clean Air Act, which is the
20 resource performance standard section, which we were just
21 talking about. And in that section they actually set up a
22 cap and trade program called CAMR. And it was a way of
23 regulating mercury from all the utilities, and it would be
24 traded.

25 This was done in 2004 as a proposal and finalized

1 in 2005. State of Wyoming followed, as it's required to
2 do, and put together a trading program to help -- to
3 participate. By 2008 the courts have thrown it out. So,
4 again, we were back to not regulating mercury or any other
5 hazardous air pollutant from utilities.

6 After that, EPA went back to the drawing board
7 and came up with the what's now called the MATS, or what I
8 just read to you, and this is what we have going forward.
9 It's still not out of the woods yet.

10 And I'm going to turn it over to Cole at this
11 point. He and -- Cole Anderson, from New Source Review,
12 and we will explain to you what's in it.

13 MR. ANDERSON: Thank you, Tina.

14 Cole Anderson, New Source Review program manager.
15 And that was a great lead-in, because I spent about 10
16 years with the Division, and I've spent about 5 of those
17 working on power plants.

18 And it's really kind of a privilege to be
19 speaking with you today, because the MATS rule has been
20 around definitely longer than I have in my current
21 capacity, and also when I was working on power plants.
22 It's a -- from what I've been able to read and conjure up,
23 it's been a huge focus of national attention and also been
24 a national priority for some time to address mercury from
25 power plants.

1 So as Tina alluded to, we have a new proposal out
2 there for the NESHAP, and I'll cover that today.

3 EPA promulgated a package for the power plants
4 collectively known as the Mercury Air Toxic Standards. And
5 as she explained, that's NESHAPS and NSPS. The 5U, the
6 National Emission Standards for Hazardous Air Pollutants
7 Coal- and Oil-Fired Electric Steam Generating Units was
8 published on Thursday, February 16, 2012. The effective
9 date was October 16 of 2012. EPA published a
10 reconsideration of the final rule on Friday, November 30th
11 of 2012, and accepted comments on reconsideration until
12 Monday, January 7th of 2013. So we just finished another
13 public comment period on these rules.

14 So I want to describe first the facilities that
15 are subject to proposed subpart. For the power plants, or
16 electric generating units, these will be coal- or oil-fired
17 units designed to produce more than 25 megawatts of
18 electricity. Components of EGUs subject to NESHAP include
19 any furnace, boiler, or other device used for combusting
20 fuel for the purpose of producing steam. This also
21 includes the integrated gasification combined cycle
22 turbines. So that's something that's also been added to
23 this rule. That's a type of power plant that gasifies coal
24 and then burns it in a turbine.

25 Wyoming has approximately 20 other coal-fired

1 units subject to the NESHAP. These units include Jim
2 Bridger's -- I'm sorry, PacifiCorp's Jim Bridger Power
3 Plant, Basin Electric Cooperative's Laramie River Station,
4 Black Hills Corporation's Wyodak Complex. So they are
5 essentially major coal units here in Wyoming. Two existing
6 and five proposed natural gas-fired EGUs in Wyoming are not
7 subject to this NESHAP. There are two natural gas turbines
8 that are EGUs up in the Wyodak Complex, and the five
9 proposed for the Cheyenne Prairie Generating Station.

10 There will be emission limits established for
11 these EGUs, and I'll cover those here for you. There are
12 seven categories in the rule. There are two coal
13 categories, four oil categories, and one for integrated
14 gasification combine cycle.

15 Wyoming units fall into the category of EGUs
16 designed for coal where the coal has a heating value
17 greater than or equal to 8,300 Btu per pound. Essentially
18 these are coal units that are not designed to fire lignite
19 coal. The rule provides for lignite coal, which is
20 typically used like in North Dakota, and it's a lower Btu
21 coal type.

22 It says Wyoming sources will be subject to three
23 emission limitations. The first limitation allows the
24 source to choose one of three options. They consent to do
25 an individual emission limit for nonmercury metal HAPs.

1 They can accept a total nonmercury metal HAPs emission
2 limit or they can use a filterable particulate matter
3 emission limit as a demonstration that the HAPs are
4 controlled. So that's why we call them surrogate, and they
5 would be monitoring PM, but demonstrating that the
6 hazardous air pollutants are also being controlled.

7 The second emission limitation allows the source
8 to choose either an emission limit for hydrochloric acid or
9 an emission limit for sulfur dioxide. Again, in this rule,
10 sulfur dioxide is a surrogate that they're monitoring,
11 which demonstrates that hydrochloric gas emissions are
12 being controlled. It says the option to choose a sulfur
13 dioxide is only available to sources with flue gas
14 desulfurization. These are units that have scrubbers,
15 either dry or wet scrubbers. Typically in Wyoming that's
16 most of our sources. Right now there are only two
17 coal-fired plants that don't have scrubbers on them, and
18 they're located at the Dave Johnston Power Plant.

19 Finally, the third and final emissions limitation
20 is a numeric emission for mercury, and that limit is 1.3
21 times 10 to the minus 2nd pounds per gigawatt hour. And
22 that, in relation to a lot of the emission limits we
23 established, is a pretty small number, but as I'll allude
24 to later, for new units it's going to get even smaller.

25 Based on past operating experience, the Division

1 anticipates compliance with mercury limit being the most
2 challenging of the three limitations. The levels proposed
3 for SO2 and for PM as surrogates are ones we've seen
4 demonstrated in BACT terminations, so we know they are
5 achievable. The mercury limit, though, however, is lower
6 than we've seen in current BACT determinations.

7 Just to give you an example, two of the newest
8 coal-fired power plants, we set BACT in 97 times 10 to the
9 minus 6 pounds per megawatt hour. What we did is we also
10 required evaluation of further emission reductions with
11 target range of 20 times 10 to the minus 6. Taking a look
12 at that lower value of 20, the NESHAP that's proposed --
13 I'm sorry, the NESHAP emission level that was finalized is
14 approximately 37 percent lower than the emission rate
15 targeted by the Division. So that number of 20 was
16 something that we were asking power plants to evaluate and
17 determine if they can achieve. The new emission level is
18 35 percent lower than that level.

19 We are also aware that there are challenges for
20 reducing mercury emissions. Low chloride levels in the
21 feed coal can reduce the effectiveness of activating carbon
22 injection. High amounts of activated carbon injected into
23 the flue gas stream, which is often captured in baghouse or
24 ESP, can cause a personal emission hazard, which is a
25 safety issue for the operation of the power plants.

1 Essentially implementation of the NESHAP will
2 have to be carried out on a case-by-case basis for
3 Wyoming's existing power plants. I think each application
4 will have its unique challenges.

5 New EGUs, those that haven't been built yet or
6 permitted, will also face challenges in reducing mercury
7 emissions. The mercury emission limit for new EGUs is
8 notably lower. The limit is approximately a factor of 100
9 smaller than the level for existing sources. So a new
10 source coming into the state of Wyoming will have to reduce
11 emissions by a factor of a hundred to achieve the NESHAP
12 level.

13 In addition to emission limits, there are work
14 practice standards. Wyoming sources, as existing sources,
15 will be required to conduct a tune-up of EGU burner and
16 combustion controls at least 36 months or 48 calendar
17 months apart if neural network combustion optimization
18 software is employed.

19 What they're getting at here is every three years
20 they're going to have to tune their boilers to make sure
21 they're operating as efficiently as they can. There's an
22 extra 12 months allowed for those sources that use neural
23 networks, which are sophisticated software and computer
24 devices used to optimize the performance of a boiler during
25 combustion. EPA decided to make combustion tune-ups a

1 federal requirement. The Division does not currently
2 require tune-ups. This work practice creates additional
3 recordkeeping and burdensome reporting on the companies.
4 Essentially that was something that was brought up in
5 comments on this rule, is tune-ups in and of themselves
6 something companies already are doing. Requiring them
7 doesn't seem to add any additional value at this point.

8 EPA established work practices for periods of
9 startup and shutdown. These practices include starting up
10 on natural gas or distillate oil, operating their
11 continuous monitoring equipment during startup and
12 shutdown, and also making sure the pollution controls are
13 in operation during the shutdown mode and brought on line
14 as soon as possible. Originally as proposed, EPA was
15 saying there should be numeric limits on emissions of
16 hazardous air pollutants during periods of startup and
17 shutdown, and in the final rule they determined that work
18 practices would be more appropriate.

19 Also added in the final version was provisions
20 for the startup and shutdown of IGCC units. Currently
21 there are none in Wyoming, so that won't affect us.

22 Several power plants in Wyoming have similar
23 startup and shutdown work practices. These were
24 established through the BACT requirements. In addition to
25 work practices, we also see that power plants are able to

1 demonstrate compliance with their emissions during all
2 periods of operation. And they often will accept limits
3 during startup and shutdown. These are their normal --
4 pardon me, their normal limits will be effective during the
5 startup and shutdown, so we don't require work practices.
6 That's an alternative that some people have adopted.

7 It also says that for PM monitoring -- and this
8 is an additional area of what I would call new direction
9 for us -- that's particulate matter, continuous emission
10 monitoring systems. And these are designed to monitor
11 particulate levels continuously as the boiler operates.
12 Currently we don't have any of these in the state of
13 Wyoming as they are equipped on power plants.

14 There's also additional testing and notification
15 requirements. Sources subject to the NESHAPS are required
16 to perform initial performance tests, may install
17 continuous emission monitoring equipment for sulfur
18 dioxide, PM, hydrochloric acid, and hydrofluoric acid.
19 NESHAP provides the option to demonstrate whether the
20 affected source is a low-emitting EGU by conducting a
21 30-day test using sorbent traps. Low-emitting units, or
22 LEES, are only required to conduct one 30-day test for
23 mercury every 12 months, and one 30-day test for other
24 pollutants every 36 months. This is an incentive built
25 into the rule where they can demonstrate that they're a low

1 emitting unit. Their test frequency drops off
2 significantly, once per year for mercury and once every
3 three years for the other ones.

4 There are compliance requirements. Wyoming's
5 affected sources are existing EGUs, and as such, must
6 comply with Subpart 5U no later than April 16, 2015. After
7 Wyoming receives authority to implement Subpart 5U, sources
8 may petition the State for an additional year to comply
9 with NESHAP. So the rule gives them three years, and
10 there's a petition process that gives them one additional
11 year.

12 In addition to that year that they may petition
13 the state for, there is a one-year extension which EPA may
14 issue as an administrative order under which the source
15 will have the option of up to one year in which to come
16 into compliance. EPA has issued a memorandum and guidance
17 back in December on how they intend to operate under the
18 administrative orders. Essentially with the administrative
19 orders it says that the source has to make a demonstration
20 that there is specific documented liability concerns,
21 essentially how the implementation of new controls or
22 changes to their operation in order to comply with the rule
23 will affect reliability. If they can demonstrate that,
24 then seems like EPA would be willing to entertain an
25 administrative order, but that's definitely not guaranteed

1 and something they have to petition for. So that's kind of
2 an overview of the requirements of the rule.

3 As mentioned earlier, the rule went through
4 reconsideration. That started November 30th of last year,
5 and ended here in just -- in July 7th -- or on -- sorry,
6 January 7th, on Monday. And we provided some comments,
7 State of Wyoming did. I just want to briefly go over what
8 we commented on for reconsideration.

9 The first comment noted that EPA should consider
10 the impact of mercury control when establishing a beyond-
11 the-floor standard for HCL admissions. One of the things
12 that EPA did in part -- in the reconsideration was they
13 went back and did a beyond-the-floor analysis. What that
14 is is an additional step that EPA can undertake to prove
15 that more control, beyond what they already determined,
16 could be applied to these both cost effectively and as a
17 technical matter too. So they had to demonstrate it on a
18 technical basis and look at cost when they did it beyond
19 the floor.

20 And what they came to a conclusion was that they
21 would leave the existing standards for all the other
22 pollutants except for HCL. They did propose additional
23 requirements where they lowered the emission level for HCL.

24 And our experience with installing and operating
25 activated carbon injection systems, especially in the

1 Powder River Basin, is that chloride levels in the coal can
2 be low and additional chloride may be required to achieve
3 levels of high mercury removal. So what that means is our
4 coal for HCL emissions is definitely probably the most
5 beneficial, because you don't have a lot of chloride to
6 start off with. Unfortunately, while that may lower your
7 HCL emissions, that does affect your ability to achieve
8 mercury reductions as well. So you're balancing mercury
9 versus hydrochloric gas emissions. In the Powder River
10 Basin we've had some demonstration projects where they've
11 injected chloride to help raise the mercury removal, and
12 we've seen just insignificant increases in HCL emissions.
13 But we do, in our comment, note to EPA they must consider
14 the additional effects from chloride when you're trying to
15 establish the HCL emission level.

16 We also noted that -- and this was brought to
17 everyone's attention by EPA, but we commented that in
18 establishing the emission level, it did look at a
19 commercial -- excuse me, a commercial boiler instead of
20 EGU. So they had the wrong source type they were looking
21 at when they were establishing the level for which the EGUs
22 would be held to. So we commented they need to consider
23 the source and the operation of the source and not base
24 their analysis on the wrong source type.

25 When establishing limits for new sources, EPA

1 conducted a high-level achievability analysis based on a
2 hypothetical 500-megawatt new source. We made the comment
3 that when performing such an analysis, it's important to
4 consider size and operational differences, especially if
5 EPA is making broad determinations for all EGUs greater
6 than 25 megawatts. Essentially what they did is looking
7 forward for new sources, they picked a middle of the road
8 boiler, which would be about 500 megawatts, and they said
9 we believe that this unit can achieve the emissions level.
10 Because this one can, we expect everyone else to. And our
11 comment is, well, you're regulating from 25 megawatts, all
12 the way up to -- in some cases boilers exceed 500, 800, and
13 even a thousand megawatts in capacity. So you're looking
14 at some very large boilers. And to pick middle of the
15 road, you know, I don't think necessarily answers the
16 question.

17 Finally, EPA requested response and comment on
18 whether to retain the option to perform quarterly stack
19 testing to demonstrate compliance with the filterable
20 particulate matter (PM) standard. Again, this is where EPA
21 was saying our experience and what they have for
22 information on particulate matter CEMS, they believe that
23 quarterly testing for particulate matter wouldn't be
24 necessary. And based on our experience, or lack thereof,
25 PM CEMS aren't in Wyoming a demonstrated emission

1 monitoring system yet. So we commented to them that we
2 would prefer the option to keep stack test in light of the
3 fact that PM CEMS does not prove workable solutions here,
4 that we can use quarterly stack testing.

5 And that's it for an overview of 5U. I'm
6 definitely willing to entertain any questions you might
7 have. It's pretty complicated, and I know I used a lot of
8 acronyms. I can clarify anything you would like.

9 BOARD MEMBER BROWN: Do you anticipate new
10 sources having trouble achieving the lower mercury limits?

11 MR. ANDERSON: I haven't seen anybody
12 achieve that one. It's 2.5 times 10 to the minus 7.

13 BOARD MEMBER BROWN: Right.

14 MR. ANDERSON: And when you look at that,
15 it's a hundred times lower than what we're seeing our best
16 plants demonstrate today. I think that would be difficult.

17 BOARD MEMBER BROWN: Would that preclude
18 new sources, then, that can achieve that --

19 MR. ANDERSON: Well --

20 BOARD MEMBER BROWN: -- on paper, going
21 through your analysis?

22 MR. ANDERSON: Yeah. I mean, at this point
23 it's a federal rule. And we would say comply with that.
24 And I guess, if they couldn't -- I'm not saying that we
25 would necessarily hold a permit in denial of that. At this

1 point they would have to make a demonstration that they
2 could comply with that.

3 MR. DIETRICH: This is Steve.

4 Cole, is it safe to say that you're not aware of
5 any burn technology or control mechanisms out there that
6 can actually achieve that value?

7 MR. ANDERSON: Not at this time. And
8 there's a lot. I mean, they've got activated carbon.
9 They're looking at new processes. They've used bentonite.
10 We have some plants here looking at producing a bentonite
11 clay material that they would inject instead of activated
12 carbon. So they're definitely motivated and being
13 inventive when coming up with solutions.

14 BOARD MEMBER BROWN: What kind of control
15 are we at now, our mercury emission limit -- or where are
16 they running at now, a typical --

17 MR. ANDERSON: 97 times 10 to the minus 7
18 is one that's achievable. We've seen a lot of emissions
19 there. We've done a couple of analyses. Actually, we
20 didn't do it. It was the power plants that submitted it,
21 and we reviewed those analyses. And their levels were
22 right around 40 to 41. And so seems like 20 is something
23 that a couple of them might be able to achieve, but, again,
24 going lower than that, we don't have any information they
25 can do that.

1 BOARD MEMBER BROWN: Okay. Thank you.

2 BOARD MEMBER WASSERBURGER: What would be
3 the penalties?

4 MR. ANDERSON: That's under the
5 enforcement, so I think that -- I can't give you a number
6 at this point, but they would be subject to enforcement
7 action, and we would follow the process.

8 BOARD MEMBER WASSERBURGER: Shutdown or
9 what are you talking about?

10 MR. ANDERSON: Well --

11 BOARD MEMBER WASSERBURGER: Fines?

12 MR. ANDERSON: Well, you want to speak to
13 that? I can talk to --

14 MR. DIETRICH: Let Nancy speak to that.
15 Nancy will speak to that.

16 MS. VEHR: This is Nancy Vehr with the AG's
17 Office. And on enforcement, under -- there's two
18 components under this 5U, a federal rule, and there's
19 Federal Clean Air Act and Regulations that EPA follows have
20 different provisions for how EPA may choose to enforce
21 particular items. So if the state does nothing, and EPA
22 chooses to enforce, they would -- EPA would follow the
23 Federal Clean Air Act and Federal Regulations in their
24 federal policies.

25 Under those provisions, EPA has options for

1 administrative enforcement or judicial enforcement. The
2 judicial enforcement provisions, I'm not quite up to date
3 on all those, but the dollar figure is around \$38,000 per
4 day per violation. So it can add up to be quite
5 significant quite quickly.

6 They also have provisions that they can request
7 what's called injunctive relief, which would be a way to
8 get a source back into compliance. The issue I think that
9 Cole hit on was whether a source could actually achieve
10 compliance by the standard. How that EPA might choose to
11 enforce, we don't have any particular idea.

12 For the State of Wyoming, once we adopt a federal
13 standard into our state regulations, it becomes state law.
14 Under the Environmental Quality Act, there's a provision,
15 it's 35-11-701, and the goal under the Environmental
16 Quality Act is for the Department to work with sources to
17 get them back into compliance. We have mechanisms for
18 issuing a Notice of Violation, which is an allegation that
19 violation has occurred. That gets the source into the
20 State to talk to the Department about what the situation
21 is.

22 Out of that process, we can enter into settlement
23 agreements or compliance agreements, again, with the goal
24 of getting the source back into compliance. And then
25 there's another component that the Act allows for

1 stipulated -- excuse me, penalties, and that -- the state
2 level is \$10,000 per day per violation.

3 There's also a third enforcement mechanism.
4 There's a provision under the Wyoming state law, as well as
5 under federal law that allows for citizen enforcement,
6 third parties to enforce, and that's out of our control,
7 and they can choose to go either under the federal route or
8 the state route. And they would have the same I'll say
9 remedies available to pursue a suit in court to achieve
10 compliance.

11 So the mechanisms can be federal, state, or the
12 citizen suit, and it can be in the state arena or federal
13 arena. Until you have an actual situation in front of you,
14 it's difficult to say how the state would -- what action
15 the state would take other than typically when we have a
16 compliance concern, it's through this Notice of Violation
17 mechanism, where we start trying to gather the facts. And
18 it's definitely a very serious consideration for all
19 affected sources.

20 Wyoming, as I mentioned earlier, is participating
21 in the litigation over this 5U. It's in the D.C. Circuit
22 Court of Appeals. The rules right now are effective at the
23 federal level, and this rulemaking process would put the
24 rule into state law so that we could implement the rules
25 instead of having EPA implement. So sources that would be

1 affected typically in that process, EPA has allowed the
2 state to take the first crack at enforcement rather than at
3 the federal level. So affected sources would deal with the
4 state directly, rather than having to deal with EPA Region
5 8 headquarters.

6 It's not a very comfortable situation. It's got
7 a lot of plants concerned on meeting these requirements.
8 The provision that Cole talked about that allowed this
9 extended compliance state three years out, and additional
10 two one-year provisions, we're not sure how that's going to
11 work. As far as I know, that has never been done in the
12 EPA level before in terms of the total rulemaking package.
13 They may have done it on a source-by-source basis. So the
14 sources are very anxious to see how this rolls out, and is
15 of frank concern. And there's been a lot of press about
16 this particular rule. You may have seen announcements
17 about various sources closing. This is one of the rules
18 that affects them deeply.

19 So it's not a direct answer to your question, but
20 compliance is a step if someone's not meeting the permit
21 requirements or the rule.

22 BOARD MEMBER BROWN: And it's strictly
23 EGUs, correct?

24 MR. ANDERSON: Yes, yes.

25 That's also a good point to note, a point of

1 clarification, some of these rules for NESHAPS can have an
2 area source component to them. Major source is a source
3 with 10 tons of individual hazardous air pollutant or 25
4 tons combined. Those are major sources of HAPs. Then
5 there are area sources, which are everything less than
6 that. This NESHAP is a little bit unique in they've chosen
7 not to create an area source for this, but they actually
8 incorporated boilers at 25 megawatts in size that may
9 themselves be an area source if actually measured the
10 pollutants.

11 So while there aren't specific provisions for
12 area sources, they did incorporate some sources that might
13 qualify for area source recognition.

14 BOARD MEMBER BROWN: Okay. Thank you.

15 MR. ANDERSON: Thank you.

16 BOARD MEMBER BROWN: Any other -- Tina?

17 MS. ANDERSON: We've got one more.

18 BOARD MEMBER BROWN: One more.

19 MS. ANDERSON: One more comment.

20 Draw your attention to page 5-46, which is
21 Section 4 of Chapter 5, Wyoming Rule Standards and Regs.
22 This is the incorporation by reference section. So in
23 addition to modifying it for the provisions regarding the
24 Federal Register adoption, we also need to adopt this
25 section as it's laid out on page 5-46, which is simply to

1 roll forward the date from 2010 to 2012 to incorporate all
2 the changes, updates, revisions since 2010.

3 And that's something that you do on an annual
4 basis. We're skipping a year because it's taken us longer
5 than we thought to pull this together. You don't have to
6 go through it one more time, put it that way. So other
7 than that, that's all we have to propose in Chapter 5.

8 So at this point if you want to make a decision
9 about recommending with the revisions that we talked about,
10 and maybe you'd like to take a 10-minute break or
11 something.

12 BOARD MEMBER BROWN: Okay. You may have to
13 help us with the language once we get to --

14 MS. ANDERSON: Okay.

15 BOARD MEMBER BROWN: Any discussion from
16 the Board?

17 BOARD MEMBER WASSERBURGER: I have one more
18 question for Cole.

19 On a gas-operated turbine, what kind of mercury
20 discharges do they have?

21 MR. ANDERSON: Well, I think I would call
22 it maybe not insignificant, but it's very low compared to
23 the coal units. And I think that's why EPA went forward
24 excluding gas units from this NESHAP. So you have -- it's
25 usually orders of magnitude less than coal-fired unit.

1 BOARD MEMBER WASSERBURGER: Thank you.

2 Mr. Chairman, I would move that we adopt language
3 as proposed by staff in Chapter 5.

4 BOARD MEMBER BROWN: With revised language?

5 BOARD MEMBER WASSERBURGER: Yes, sir.

6 BOARD MEMBER BROWN: Do I have a second?

7 BOARD MEMBER HANSON: Second.

8 BOARD MEMBER BROWN: Anyone opposed?

9 Okay. Board recommends that we recommend Chapter
10 5, incorporating by reference using revised language as put
11 forth in today's meeting.

12 So 10-minute break, is that --

13 MS. ANDERSON: That would be good.

14 BOARD MEMBER BROWN: Okay.

15 (Meeting proceedings recessed

16 10:40 a.m. to 10:57 a.m.)

17 BOARD MEMBER BROWN: Okay. Let's

18 reconvene.

19 Chapter 6, Permitting Requirements.

20 MR. DIETRICH: I believe that's going to be

21 Tina.

22 MS. ANDERSON: This is Tina Anderson again.

23 So we're now looking at revisions to Chapter 6,
24 which is our permitting chapter. And we're going straight
25 into Section 4, which is the PSD section, that stands for

1 Prevention of Significant Deterioration. It is a chapter
2 that deals with the largest sources in the state. These
3 are power plants, cement kilns, refineries, sources of that
4 magnitude. These are very complicated rules, and we'll do
5 our best to try to help you look at some small revisions to
6 a really great big complicated rule.

7 So beginning on page 6-64, the first set of
8 changes, and you'll see at the top of the page highlighted
9 language referencing the minor source baseline dates for
10 particulate matter that is 2.5 microns or smaller. So
11 we're looking at really fine particulate. And the PSD
12 program -- I'll give you a little bit of background here,
13 so going from the really big to the really small here.

14 PSD program, as I said, deals with large sources.
15 And when they come in to get an application from Cole and
16 his group, one of the things they have to do is model the
17 impact of this source to anticipate the impact that source
18 would have in the future, and they do that by gathering
19 information from the source about what they expect their
20 emission rates to be and whatnot. Down the line they try
21 to anticipate what that impact would be from that
22 individual source, and they also are required to look at
23 what the cumulative impact would be from that source and
24 its neighbors. It's not enough to just look at your own
25 impacts, but what do all of them have together and how does

1 that relate to various standards that they have to comply
2 with.

3 Well, in addition to the cumulative impact,
4 they're also required to look at what we call an increment
5 standard, which is a standard within the standard. So you
6 all know about ambient standards, and those are the
7 standards we set for all of our pollutants around the
8 state. And those are basically established by the
9 national -- at the national level, and then we adopt them.
10 So we have ambient standards for SO2 and particulate and
11 nitrous oxide.

12 This particular one deals with, again, really
13 fine particulate, what we call PM 2.5. And when this big
14 source does this modeling exercise, they look at the --
15 what the rule says, you cannot pollute up to the standard,
16 that you're only allowed an increment of that standard. So
17 it's even more stringent than trying to comply with the
18 standard. And when -- this is all done with a modeling
19 exercise. So when we look at what they're allowed in this
20 little increment, we look at the pollutant. We look at
21 where they are in the state, and we look at when that area
22 actually received its first complete application for a
23 large source, because that triggers the whole tracking
24 mechanism for increment.

25 And when we do that, we set those dates. And

1 then when a new applicant comes in, they look at that date,
2 and then when they gather up all the sources they have to
3 look at, they use that date to start tracking whether or
4 not the combined impact of all those sources would exceed
5 these various standards, or we -- is that making sense?

6 So on the previous page you can see where we've
7 already put in some of these minor source baseline dates.
8 There's one for sulfur dioxide. There's one for nitrogen
9 oxide. And we've been putting those in our regulations,
10 not because EPA requires them, but because it makes a lot
11 easier for the applicants coming in, because they need to
12 know this information in order to do this modeling so that
13 they can get approved application. So we've been putting
14 them in as these areas get triggered.

15 And PM 2.5 is a new pollutant in the air quality
16 scheme of things, and so the triggering dates have been
17 fairly recent. So what we are recommending here is to add
18 these three new trigger areas end dates. One is for
19 Laramie County, right where we are, which was March 1st,
20 2012; one is for the City of Cheyenne, March 1st, 2012; and
21 then one is for Carbon County, May 1st, 2012. Those dates
22 were triggered by the first complete application that
23 landed on Cole's desk for these major sources. The first
24 two came in with this brand-new Cheyenne Generating
25 Station, and for Carbon County it was a major modification

1 to the Sinclair Refinery.

2 So these are not required by EPA, but they make
3 it a lot easier for people to get permit application in the
4 state of Wyoming. So that's why we're recommending that we
5 add those. Any questions about that?

6 BOARD MEMBER BROWN: Any questions?

7 MS. ANDERSON: Okay.

8 BOARD MEMBER HULME: Tina, can you
9 distinguish between your major source baseline date and
10 minor source baseline date? Just back through those two.

11 MS. ANDERSON: I might call on Cole here.

12 MR. ANDERSON: Yeah, the minor source is
13 triggered by, like you said, the first complete
14 application, and the major source is triggered earlier in
15 the rule. So it's two different points in time. And the
16 minor source is usually triggered at the end, when we get
17 that first application, so it's the last one to get
18 triggered.

19 BOARD MEMBER HULME: Okay. Thanks.

20 BOARD MEMBER BROWN: For Laramie County
21 that was the power plant?

22 MS. ANDERSON: Yes.

23 BOARD MEMBER BROWN: For Cheyenne it was --

24 MS. ANDERSON: Cheyenne it was also the
25 power plant.

1 MR. BROWN: They're both power plants?

2 MS. ANDERSON: Right. Well, same power
3 plant, but the city of Cheyenne sits inside Laramie County.
4 And not to take you down another rabbit hole, but --

5 BOARD MEMBER BROWN: That's fine.

6 MS. ANDERSON: -- yeah, those areas are
7 broken out -- those areas were broken out a long time ago
8 when we made our designation for the state on which areas
9 were attaining and not attaining for PM 2.5.

10 BOARD MEMBER BROWN: That was my question.
11 Would this affect attainment areas?

12 MS. ANDERSON: It's -- so when a new
13 standard is promulgated, we go in and the staff determines
14 what areas we want to break the state up into, and then
15 determine whether each of those areas is in attainment or
16 nonattainment. For 2.5, everything was in attainment, but
17 we knew that this comes down the road in its increment
18 tracking. So we broke them up into smaller pieces. If we
19 don't do that, you trigger for the entire state as soon as
20 one application comes in.

21 BOARD MEMBER BROWN: Thanks.

22 MS. ANDERSON: All right. Am I still
23 speaking the truth, Cole?

24 MR. ANDERSON: Yeah.

25 MS. ANDERSON: Okay. This takes us to page

1 6-76. And this is under the definition of regulated NSR
2 pollutant. This -- so one of the definitions -- this is
3 definition --

4 MS. VEHR: Oh, 6-67.

5 MS. ANDERSON: 6-67.

6 BOARD MEMBER HANSON: Yeah, I was just
7 going to say we're skipping.

8 MS. ANDERSON: Okay. 6-67. Apologize.

9 So in the definitions we define what a regulated
10 NSR pollutant is. NSR, New Source Review, is basically
11 this section. This is New Source Review. So these are the
12 pollutants that are regulated under the section, and it is,
13 for the most part, the pollutants we've been talking about.
14 Anything that has, as the definition indicates, a National
15 Ambient Air Quality Standard is a regulated pollutant under
16 this section. There's also some additional things, and
17 that's what we're going to get into here.

18 Particulate emissions are more complicated. They
19 consist of both a filterable and a condensable fraction.
20 So when -- the filterable part is pretty easy to
21 understand. Those are all the little pieces, particles in
22 the gas stream that can get caught on a filter when you're
23 actually testing this gas. We also have particles that
24 exist in the gas phase that are in the gas stream that do
25 not actually become particles until they condense when they

1 hit ambient air, and those portions are what we call the
2 condensable portion. And for a long time EPA ignored the
3 condensable portion in terms of regulation and testing,
4 because -- well, for a number of reasons, primarily because
5 it was very difficult to actually test the condensable
6 portion. It's a very unpredictable portion, hard to
7 regulate. So the tools weren't really there to regulate
8 the condensable portion. EPA now believes they are to that
9 point where we need to address the condensable portion,
10 especially when you're looking at the really fine
11 particles, because condensable particulate is very small.

12 So this is not new today, that they regulated
13 condensables. We actually had language like this in here
14 before, but what has -- the fundamental change that we're
15 bringing to you today is that they are no longer looking at
16 the larger particulate. So if you look on page 6-68, the
17 language has been crossed out, you'll see the word PM is --
18 is what's missing in the new language. So we just have PM
19 2.5 and PM 10 emissions. Where it was PM, which is the
20 larger body of particulate matter, which would include
21 larger particles, has been removed. EPA has identified it
22 as an error in their own regulation, and that's why it's
23 being fixed here today.

24 So that's the big change. You also see stuff
25 moving from one page to another. There's no -- other than

1 what I just pointed out, the language is identical from
2 what we had before, but it's just been moved around. So...

3 BOARD MEMBER HANSON: I thought -- Tina,
4 today it's still there, PM 2.5 emissions and PM 10
5 emissions --

6 MS. ANDERSON: Right.

7 BOARD MEMBER HANSON: -- in the new
8 section.

9 MS. ANDERSON: Right, but not PM, which is
10 even larger -- can include particles which are even larger
11 than 10 microns --

12 BOARD MEMBER HANSON: Okay.

13 MS. ANDERSON: -- 40 microns.

14 And there you're looking at things that are not
15 typically not related to the combustion process, so you
16 don't even have that condensing mechanism happening.

17 BOARD MEMBER HANSON: Okay.

18 MS. ANDERSON: And then you also see on
19 page 6-68 we had to shift the numbering because we moved
20 some of these paragraphs around. So that's what that's all
21 about.

22 BOARD MEMBER HANSON: This one replaces
23 this.

24 MS. ANDERSON: Any other questions about
25 the condensables?

1 Okay. That's takes us to page 6-72, to Table 1.
2 And this is a table of the Maximum Allowable Increments of
3 Deterioration. We talked about those increments to those
4 portions of the standard which the facility has to model in
5 compliance with. And they're set for -- as we indicated
6 before, each pollutant has a different one. And in this
7 case, there's also a distinction between Class I areas and
8 Class II. That has to do with how pristine the areas of
9 the state are. The Class I areas are national parks and
10 wilderness areas. Yellowstone, Tetons are Class I areas.
11 Everything else in the state are Class II. And obviously
12 we have a higher standard to meet in the more pristine
13 areas.

14 And that gets me to what we're actually changing
15 here. So under PM 2.5, we've simply added asterisk for the
16 PM 2.5, 24-hour maximum, and the PM 10, 24-hour maximum.
17 And the asterisk clarifies that when you actually model
18 this and you show exceedances, that you can get -- may be
19 exceeded once per year at any receptor site. The receptors
20 are those points that you model when you measured the --
21 you modeled the concentrations.

22 The reason that we put the asterisks in there is
23 because it's clear in the rule that's what EPA meant, but
24 if we put the asterisks in the table, it makes it easier
25 for the people using the rule to understand that without

1 burrowing back into the EPA's published rule. So this is a
2 clarification.

3 If there are no additional questions about that,
4 then that takes us to the end to Section 14, incorporation
5 by reference, and that's on page 6-122. And, again, we are
6 rolling forward the date to incorporate everything in this
7 chapter to 2012 dates, much like what you just saw in
8 Chapter 5.

9 That's it for Chapter 6.

10 BOARD MEMBER BROWN: Any comments from the
11 public? Concerns?

12 Any discussion from the Board?

13 BOARD MEMBER HANSON: I just said we've got
14 more particulate.

15 BOARD MEMBER BROWN: Do we have a motion?

16 BOARD MEMBER HANSON: Move to adopt the
17 changes.

18 BOARD MEMBER HULME: I'll second.

19 BOARD MEMBER BROWN: Second. Okay. It's
20 been moved and seconded to adopt the language in Chapter 6
21 on the permitting requirements.

22 Okay. Chapter 11, National Acid Rain Program.

23 MS. ANDERSON: So Chapter 11 is our
24 National Acid Rain Program chapter. This is a chapter that
25 we continue to adopt by reference. We have very little to

1 do with its administration. It's a huge program that EPA
2 manages, but we are required to keep it up to date in our
3 regs so that our Title V program -- our operating permit
4 program remains approvable. So here we're simply -- again,
5 on page 11-1, Section 2, Acid Rain Program, (b), rolling
6 forward the adoption by reference of date 2012.

7 BOARD MEMBER HANSON: Mr. Chairman.

8 BOARD MEMBER BROWN: Yes, sir.

9 BOARD MEMBER HANSON: Move adoption of
10 moving forward --

11 THE REPORTER: I'm sorry. Can you repeat
12 that?

13 BOARD MEMBER HANSON: To move it forward to
14 the date of July 1, 2012 from 2010.

15 BOARD MEMBER BROWN: Second.

16 BOARD MEMBER WASSERBURGER: I second.

17 BOARD MEMBER BROWN: It's been moved and
18 seconded, adopted by reference Chapter 11 to include the
19 date of 2012.

20 Okay. Now we have two infrastructure SIP plans
21 to discuss and the ozone. And we can -- yes, ma'am.

22 MS. VEHR: Did you guys approve that?

23 BOARD MEMBER BROWN: Yes.

24 BOARD MEMBER HANSON: Yes.

25 MS. VEHR: Okay. Just for the record, if

1 you could say that.

2 BOARD MEMBER BROWN: It is approved.

3 We have about an hour left, we can -- or an hour
4 and a half, maybe. We can go through lunch, because I
5 heard it's crowded out here when legislation is in session.
6 We can power through and get done by about 1:00 or 1:30, I
7 think we should do that. Anyone have a problem?

8 BOARD MEMBER WASSERBURGER: I will be
9 leaving about 11:30. I hate to do that to you, but I need
10 to be back in Torrington by 1:00, Mr. Chairman.

11 BOARD MEMBER BROWN: Why don't we do that.
12 Let's move forward to infrastructure 7 -- or the one-hour
13 NO2 standard. And this is hearing, we're not voting on
14 this, correct?

15 MS. ANDERSON: Correct.

16 MS. CEDERLE: Jeni Cederle with the Air
17 Quality Division. We're going to be kind of switching
18 gears here while we're talking about infrastructure SIP,
19 that's State Implementation Plan. And I would just like to
20 let the Board know that the infrastructure SIP does not
21 represent any new requirements for sources, but simply a
22 compilation of the programs we have in place to manage our
23 state's air quality.

24 A little bit of background. The EPA has
25 established a new primary standard for nitrogen dioxide.

1 They promulgated the one-hour NO2 standard. It became
2 effective, then, on April 12, 2010. They're hoping that in
3 conjunction with the retained annual secondary, that those
4 prone to short-term respiratory health would be protected
5 with this shorter term one-hour standard.

6 The form of the standard is based on a three-year
7 average of the 98th percentile annual distribution of the
8 one-hour daily maximum NO2 concentration, and the level's
9 been set at 100 parts per billion.

10 This is entirely new National Ambient Air Quality
11 Standard, and the state of Wyoming has finalized rulemaking
12 to include the one-hour standard in our regulations, and
13 that became effective at the state level on December 19,
14 2012.

15 The Clean Air Act, Section 110, requires the
16 states to submit a plan that provides for the
17 implementation, maintenance, and enforcement of specific
18 air quality standards. We need to do this within three
19 years of EPA promulgation of a new standard, the new
20 standard being our one-hour NO2. We are now in the midst.
21 This is a public process for this. It's required that we
22 do this so that we can submit the infrastructure SIP to the
23 EPA and for the one-hour NO2 standard and ask your approval
24 on that.

25 What we're looking at here is an infrastructure

1 SIP. This is the building blocks to our state air quality
2 management of our programming. It basically identifies how
3 the state's going to obtain and/or maintain the National
4 Ambient Air Quality Standards. So once the NAAQS changes,
5 or in this case is created, we then have to develop an
6 infrastructure SIP for that particular standard. Our SIP
7 outlines how the state plans to implement, maintain, and
8 enforce this new standard.

9 So in the end we have three years to get the SIP
10 approved by EPA. That deadline would be sometime -- and
11 the SIP -- sorry. We have three years to do it. It was
12 promulgated in 2010, so our SIP is due to EPA for approval
13 by April 2013. There's been some delay, as EPA has moved
14 forward with guidance on exactly what they want these
15 infrastructure SIPs to look like. There's a lot of chatter
16 out in the world right now about being a multi-pollutant
17 SIP or break it down to the criteria pollutants. So we're
18 just kind of going with what we knew. They said to use a
19 lot of old guidance. We're going forward in that manner,
20 and this is what we're representing to you today. Wyoming
21 has currently -- we're currently attaining the one-hour NO2
22 standard. We don't have any exceedances,
23 and this state has been classified by the EPA as
24 unclassifiable/attainment.

25 So if we move on into the SIP itself, the Section

1 110 SIPs are divided into elements. EPA wants to see you
2 address each element and make sure you have the programs to
3 maintain and enforce each piece. Our first element here is
4 emission limits and other control measures. We have set
5 this up so that we start at the top of the Nonregulatory
6 Documents.

7 Number 4 has been added in, that we do not have
8 any exceedances of the one-hour nitrogen dioxide standard,
9 and we have not adopted any additional one-hour reduction
10 measures at this time.

11 Following that we have it divided out in
12 Regulatory Documents from the past, everything that's been
13 in place, as you can see starting here in 1972. And as you
14 flip through to page 2, we're still in the past and we're
15 moving forward.

16 What we have added on page 3 is number 23. We
17 have had update to Chapter 3, Section 6, emission standards
18 for volatile organic compounds. And our most recent
19 state's regulatory SIP document was submitted to EPA on May
20 24, 2012, and is still pending EPA approval.

21 Moving on to what's been added into this is
22 number 27, Chapter 8, Section 3, conformity of general --
23 general critical actions to State Implement Plan. Our last
24 SIP has been approved and printed in the Federal Register,
25 but we are moving through -- we've just submitted and

1 updated the SIP from rulemaking that was effective on the
2 19th. We have an updated SIP out to EPA that went out on
3 December 26th of 2012. And so, again, pending EPA
4 approval.

5 The second element, ambient air quality
6 monitoring and data systems. What we have added here in
7 the nonregulatory section, at the bottom of page 3, number
8 4, is our Wyoming Ambient Air Monitoring Annual Network
9 Plan, which is, you know, a provision that we have to do.
10 It's required by the EPA. It's a yearly annual network
11 plan that our monitoring section goes through and does
12 assessment and it helps them decide and make the objective
13 decisions on where monitoring might need to go in the
14 future in the state.

15 Flipping over to page 4, it's another create
16 monitoring deal we do required by the EPA. It's the
17 Wyoming Ambient Air Monitoring Network Assessment. This is
18 done every five years, where the one we just talked about
19 is done annually. And we've had our latest piece submitted
20 July of 2011.

21 Moving through the Regulatory Documents, you'll
22 see that we'll have a bit of repetition, because a lot of
23 our programs fit the requirements of the different
24 elements, but a recent one that we're waiting on is number
25 8, Chapter 2, Section 2, ambient standards for particulate

1 matter. Again, we've submitted an updated SIP to the EPA
2 in August of 2011, and we're awaiting EPA approval.

3 Number 9, Chapter 2, Section 3, ambient standards
4 for nitrogen oxide directly ties into this. That is
5 our addition of the one-hour NO2 standard, and we have
6 updated -- the state rule adoption of this became effective
7 on December 19th, and we'll be working towards getting a
8 new SIP submitted here in January 2013.

9 Number 10, Chapter 2, Section 4, ambient
10 standards for sulfur oxide. Again, state rulemaking made
11 effective December 19, and we'll be moving forward to a SIP
12 submittal in January of 2013.

13 Number 12, Chapter 2, Section 6, ambient
14 standards for ozone. Again, this was to move forward in
15 our most recent state rulemaking, became effective at the
16 state level December 19th. And what we will be doing here
17 is another SIP submittal for January 2013. But this will
18 be, I believe, nonattainment requirements -- I'm sorry. I
19 misread that. It was -- oh, no, that's correct. Sorry.
20 Yes. And we'll be moving forward with that.

21 Again, with number 14 in this section, the
22 Chapter 2, Section 10, ambient standards for lead, we have
23 submitted a SIP in August of 2011, and it's down there
24 awaiting EPA approval.

25 Moving on to the third element, programs for

1 enforcement of control measures. We can move it to the
2 Regulatory Documents section, and that would be number 4.
3 Again, you'll hear PSD. Chapter 6, Section 4, PSD. We had
4 submitted a SIP down to EPA in May of 2012, and we're
5 pending EPA approval; however, our PSD program, as it
6 stands, meets all federal requirements.

7 Chapter 5 -- or number 5, Chapter 6, Section 13,
8 nonattainment permitting requirements. The most recent SIP
9 went down to EPA in May of 2011 and has been posted in the
10 Federal Register as of July 2011.

11 And moving on to the next interstate and
12 international transport provisions. This was the section
13 that has been fairly problematic in the infrastructure SIP
14 development in that the guidance from the EPA hasn't been
15 given to us. And they now have said, you know, if you --
16 in some instances with some pollutants -- and we'll cover
17 that with ozone in a little bit -- said you can forgo it
18 and may still deem your infrastructure of SIP complete.

19 What we have gone ahead and done is created our
20 own argument. We're not going to just put in something
21 that's incomplete -- that could be deemed incomplete. So
22 we've gone ahead in the nonregulatory section in number 3,
23 we went ahead and added in the text that we're currently in
24 attainment with no violations. And, you know, this can be
25 proved through the Federal Register that we've been

1 classified is unclassifiable/attainment. And so if you're
2 in attainment, you're not transported into another area.

3 And until things move forward with the EPA and
4 how they deem -- how they go on to classify in the future,
5 it's based a lot off of major roadways and setting up
6 nitrogen dioxide roadway monitoring system, but it's very
7 heavily weighted on demographics, which Wyoming doesn't
8 have. So it doesn't look like we'll actually need to pull
9 into that network, but how it shakes out in the end. We'll
10 see.

11 Moving on into the regulatory document section at
12 the bottom of page 6, Chapter 6, Section 4, the PSD program
13 works out really well, and we're -- you know, we've got a
14 good program in place at this time.

15 We've also added in number 3, the Wyoming
16 Environmental Quality Act, Article 2, notification to the
17 Environmental Protection Agency and contiguous states.
18 This is just that we would notice a state if we had -- we
19 would provide notice to an outside state if we did have a
20 transport issue that came up through permitting.

21 Moving on to the next element, adequate
22 resources. We have added on page 8, number 4, Wyoming
23 Environmental Quality Act, Article 1, powers of
24 administrators in the divisions. This basically allows --
25 says operators will comply with Wyoming statutes to monitor

1 an emission -- monitor emissions in reports. And that's a
2 new piece that we've added into this SIP.

3 Emergency power has stayed the same.

4 Future SIP revisions requires states have the
5 authority to revise their SIPs in response to changes to
6 the NAAQS, availability of improved methods for attaining
7 the NAAQS, or in response to EPA finding that the SIP is
8 substantially inadequate. We're moving forward. SIPs that
9 have been approved in the past, and we've had nothing new
10 in the programs to add to that.

11 We're moving on to Element J, consult --
12 consultation with government officials and public
13 notification. And out into the PSD and visibility
14 protection, the first two -- I'm sorry, consultation with
15 government officials and public notification, we're moving
16 that -- we're rolling that forward from the -- from another
17 SIP that has been approved, and these programs do apply to
18 the one-hour NO2 standard.

19 Moving into the PSD and visibility protection.
20 Again, Regulatory Documents, we do have a SIP out there
21 from May of 2012, and we're just awaiting EPA approval.

22 The next element, Air Quality modeling and data.
23 If you go to page 10, again, we -- you know, we're required
24 to do monitoring through Chapter 6, Section 4, of number 4
25 there, prevention of significant deterioration. And it's,

1 again, just letting the EPA know that we have a SIP out
2 there, and that it's -- it's waiting their approval.

3 We've also added the Wyoming Environmental
4 Quality Act, Article 1, powers and duties of the director.
5 And this statute basically states that we'll get involved
6 into gathering and disseminating information to the public.

7 Moving forward, we -- the last two elements of
8 permitting fees and consultation/participation by affected
9 local entities, and those will remain standard off of the
10 older SIP.

11 Does anybody have any questions about our one-
12 hour NO2 infrastructure SIP?

13 BOARD MEMBER BROWN: Questions from the
14 Board?

15 No questions.

16 MS. CEDERLE: Okay. Well, I will move
17 along.

18 MS. ANDERSON: So point of order, we'd have
19 you ask if the public --

20 BOARD MEMBER BROWN: Does the public have
21 any comments on that?

22 No comment from the public.

23 MS. ANDERSON: For the record, we did not
24 receive any comment by mail or submitted to Steve Dietrich,
25 so...

1 BOARD MEMBER HANSON: I just have a
2 procedural question. You said these sections that you
3 mentioned were added. Why is there no approval needed here
4 versus what we did before? That's just procedural.

5 MS. CEDERLE: How -- the sections that have
6 been added --

7 BOARD MEMBER HANSON: Yeah.

8 MS. CEDERLE: -- and you're referring to
9 pieces I said were pending approval, like the PSD section?

10 BOARD MEMBER HANSON: Uh-huh. Yes.

11 MS. CEDERLE: It's more a table of contents
12 for the EPA to look at. It's the building block of our
13 program. It's how we maintain them. So it's our way of
14 letting the EPA know we have -- you know, we've been moving
15 forward, we're updating our PSD regs all the time and
16 keeping our PSD and our SIP updated to you. You need to
17 note that it's in house. So that's our -- that's why it's
18 not in the Federal Register yet, because I'm waiting on
19 action from the EPA.

20 BOARD MEMBER HANSON: And then approval
21 will be --

22 MS. CEDERLE: And then when I go through --

23 BOARD MEMBER HANSON: Okay.

24 MS. CEDERLE: -- again, I would update with
25 Federal Register date and --

1 BOARD MEMBER HANSON: Okay. Thank you.

2 MS. CEDERLE: Yeah, that's what that meant.

3 BOARD MEMBER WASSERBURGER: Mr. Chairman,
4 I'd ask that I be excused.

5 I apologize to staff for missing your
6 presentations. I really -- the second part of this meeting
7 is most informative to me. This stuff gets a bit dry, but
8 I really enjoy your presentations, and I do apologize for
9 missing those, and I'll look at it.

10 MS. CEDERLE: This second one is the eight-
11 hour ozone infrastructure SIP. It's very much not putting
12 any further requirements on sources. Again, we're here to
13 go through public process for this.

14 The background of this one is a little different
15 than our NO2 -- the one-hour NO2 standard was brand-new
16 when created, so we had to build a SIP for that. With the
17 eight-hour ozone, that was a change to the standard. And
18 what happened here -- we'll start with a little bit of
19 background. In March of 2008 the EPA revised the primary/
20 secondary Ozone National Ambient Air Quality Standards from
21 the level of .08 PPM, parts per million, to .075. This was
22 released in the Federal Register.

23 What it did was increase the level of protection
24 for public health and welfare. The Federal Rule became
25 effective May 2008. We saw no change to the form, and it

1 was just the lowering of the level for public protection.

2 Accordingly, with -- due to the Clean Air Act,
3 Section 110 again, each state's required to submit an
4 infrastructure SIP that provides implementation,
5 maintenance, and enforcement of the revised NAAQS. So we
6 saw change, we saw lowering in the level of ozone;
7 therefore, we need to go through this process and update
8 our infrastructure SIP for ozone, letting you -- the EPA
9 know how we're going to implement and maintain -- how they
10 attain or maintain our NAAQS.

11 The federal rules promulgated in March of '08,
12 March 12, '08, and we had a three-year deadline to get this
13 ozone infrastructure SIP. And that ended up being
14 March 12, 2011. So we're behind again. However, in the
15 case of the 2008 eight-hour ozone NAAQS, there was a period
16 of time EPA decided to reconsider it. And that was
17 expected to happen in the fair new -- near term. So what
18 happened is the reconsideration process ended up extending
19 about six months beyond the March 2011 submission deadline
20 for this infrastructure SIP, and a lot of things kind of
21 snowballed.

22 EPA has recently acknowledged that they didn't
23 provide us the pollutant guidance, which we talked about
24 with the NO₂, that would help states -- assist us in
25 preparing these submissions. Sorry. And that they were --

1 states were given the impression that as a result of the
2 reconsideration, the three years we had to get the
3 infrastructure SIP submitted would start again. So we were
4 waiting for this guidance. We were thinking that once they
5 reconsidered it and changed the standard again, then we
6 would have the three years again, even though their process
7 took us past that process before we knew they weren't
8 going -- took us past the deadline.

9 So Wyoming is waiting -- was waiting for the
10 revised 2008 ozone standard to even initiate our rulemaking
11 to adopt the rule, the new standard, and then we could go
12 through and initiate what we're doing today, which is the
13 infrastructure SIP, based off of that standard. Since
14 there was no revision, what happened was the March 2011
15 deadline remained legally applicable.

16 That said, EPA was also sued by NGO for not
17 taking timely action against states that had not submitted
18 this SIP by March 2011. We were all future forward,
19 looking back. And the litigation resulted in the State of
20 Wyoming receiving a finding of failure to submit, and that
21 came to us at about January 4, 2013. And so it was
22 published in the Federal Register yesterday. So we're
23 trying to move this forward and get back in line with the
24 EPA's deadlines as best possible to us.

25 It's that failure to submit that that we need to

1 get back in line with this. So at this point in time, with
2 the failure to submit out into the Federal Register, we
3 have two years to get our infrastructure SIP approved by
4 EPA. So that will put us about February 14, 2015. And
5 we'd like to get it in front of them as soon as possible to
6 avoid being FIP'd in those two years, having Federal
7 Implementation Plan put upon us.

8 The State of Wyoming has adopted the eight-hour
9 2008 ozone standard into our rules and regs, and with
10 submission of this SIP to follow on the heels of this
11 public meeting. The EPA is aware of our current rulemaking
12 and what we're up to and the forthcoming SIP submission.
13 They know we're on it.

14 So, again, the structure is very same to the one-
15 hour NO2, which, you know, the Clean Air Act, Section 110,
16 has the elements A through M. And a lot of them are the
17 same. I'll try to run through it a little bit quicker.

18 In the emission -- the first element, emission
19 limits and other control measures. On page 2, number 23,
20 we updated Chapter 3, Section 6, emission standards for
21 volatile organic compounds. The SIP has been submitted to
22 EPA May 2012. Again, these are the same SIPs that we were
23 just referring to before. We're awaiting EPA approval.

24 Number 27, Chapter 8, Section 3, conformity of
25 general federal actions to State Implementation Plans.

1 Again, we had one out there that's been published in the
2 Federal Register, but with our most recent rulemaking, that
3 one became effective on the 19th of December, we were able
4 to get a SIP out the door as soon as possible on EPA on
5 December 26th.

6 Second one, ambient air quality monitoring/data
7 systems, numbers 4 and 5, we've added in. That's, again,
8 the Wyoming Ambient Air Monitoring Annual Network Plan, and
9 Wyoming Ambient Air Monitoring Network Assessment. Number
10 4 being done yearly, required by the EPA. And number 5,
11 every five years. And this, again, helps us determine on
12 monitoring setups and our objectives of monitoring.

13 Moving on to page 4, number 8, under Regulatory
14 Documents, Chapter 2, Section 2, ambient standards for
15 particulate matter. SIPs submitted to EPA August of 2011,
16 pending approval.

17 Number 9, Chapter 2, Section 3, ambient standards
18 for nitrogen oxides. We've updated state rules, again,
19 effective the 19th of December, and revised SIP submission
20 will go in early in January 2013.

21 Number 10, Chapter 2, Section 4, ambient
22 standards for sulfur oxide. Most recent rulemaking
23 occurred December 19, 2012, and a revised SIP submission to
24 EPA tentative January of 2013.

25 Number 12, Chapter 2, Section 6, ambient

1 standards for ozone goes over to page 5. Again, the
2 rulemaking was completed at the state level the 9th -- or
3 effective the 19th of December, with a revised SIP
4 submission to EPA tentative for January 2013.

5 And number 14, Chapter 2, Section 10, ambient
6 standards for lead. We have submitted a SIP to EPA with --
7 in August of 2011 and pending EPA approval.

8 The next element required in this infrastructure
9 SIP is a program for enforcement of control measures.
10 Moving down towards the bottom of the page, under
11 Regulatory Documents, number 4, Chapter 6, Section 4, the
12 PSD. Again, that's the May submittal, pending approval;
13 however, as it stands, we meet all federal requirements
14 with our PSD program.

15 Number 5, Chapter 6, Section 13, nonattainment
16 permit requirements, was submitted in May 2011, and has
17 been posted in the Federal Register July 2011.

18 The next element, interstate and international
19 transport provisions. Again, this is the piece, the real
20 tricky piece that the guidance would have been very helpful
21 for with any of our criteria pollutants; ozone in
22 particular. We do have a nonattainment area in southwest
23 Wyoming. And just not knowing how EPA wants you to
24 represent what transport is, it has been a little bit
25 difficult. So what we've gone ahead and done is, again,

1 created our argument along the lines of do the
2 Nonregulatory Docket, number 3, again, EPA has acknowledged
3 they have not provided us guidance in how we should
4 attack -- you know, approach this element, but we have --
5 so we've stated that, that guidance was not available to
6 us.

7 And then number 4, we used the basis and approved
8 nonattainment area designation of the Upper Green River
9 Basin, because through that approval of the designation, it
10 affirms a lack of transport within the state, because we
11 don't have any other exceedances outside the basin, and our
12 entire argument for the boundary of the basin is that it's
13 under certain meteorological conditions, and that -- not
14 another way to say it, but there's no seepage out to the
15 southern counties. It's very isolated and unique to that
16 basin.

17 So we've gone ahead and used the designation and
18 the approval of that designation as our argument that we're
19 not a part of transport to other states. And we've gone
20 ahead and set up links to the associated Federal Register,
21 our EPA designation letter, and the 2009 State of Wyoming
22 boundary recommendation, as well as our technical support
23 document.

24 Under the Regulatory Documents for transport,
25 again, number 2, Chapter 6, Section 4, the PSD SIP

1 submitted May 2012, and we're waiting approval. And we've
2 also added a Wyoming Environmental Quality Act, Article 2,
3 notification to the Environmental Protection Agency and
4 contiguous states, meaning that we would notice -- we would
5 provide a notice to state of transport issues and permits.

6 Moving on to the next element, adequate
7 resources, page 8 -- oops, no. Sorry, adequate resources
8 remain the same. We pushed it forward from 1997 ozone
9 infrastructure SIP, which was approved.

10 On to page 8, stationary source monitoring
11 systems. That require states to establish a system to
12 monitor emissions from stationary sources and to submit
13 periodic emissions reports. What we've added in under
14 Regulatory Documents is number 4, Wyoming Environmental
15 Quality Act, Article 1, powers of administrators in the
16 divisions that operated -- basically just says the
17 operators will comply with our Wyoming statutes and monitor
18 their emissions and report to us.

19 Moving on to emergency power. Okay. What we did
20 with this was roll forward from our 1997 approved
21 infrastructure ozone SIP. Emergency power has had no
22 additions.

23 Future SIP revisions has had no additions.

24 Consultation with government officials has had no
25 additions.

1 Public notification stands the same.

2 On the bottom of page 9, PSD and visibility
3 protection, moving into page 10, Regulatory Documents,
4 again, you'll see there our most recent submittal for the
5 PSD SIP, awaiting EPA approval.

6 MS. ANDERSON: I'm going to do a timeout
7 here.

8 Several times -- I just want to clarify that we
9 do not have a fully approved PSD program because we do not
10 have greenhouse gas piece. You're aware of that. Just
11 because we're making a public record of this, I just wanted
12 it on the record that that's the case.

13 BOARD MEMBER HANSON: PSD?

14 MS. ANDERSON: Yes.

15 BOARD MEMBER HANSON: What does it mean?

16 MS. ANDERSON: Oh, prevention of
17 significant deterioration.

18 BOARD MEMBER HANSON: Deterioration, okay.

19 MS. ANDERSON: Go ahead. Sorry.

20 MS. CEDERLE: No, you're fine.

21 The air quality and modeling and data element,
22 requires that SIP provide for performing air quality
23 modeling for predicting effects on air qualities of
24 emissions from any NAAQS pollutant and submission of such
25 data to EPA upon request.

1 Again, number 4, Chapter 6, Section 4, prevention
2 of significant deterioration, PSD. We have submitted a
3 SIP, and we're waiting approval.

4 We've also added the Wyoming Environmental
5 Quality Act, Article 1, powers and duties of the director,
6 and that's basically the requirement to get involved with
7 information gathering and dissemination to the public.

8 The final two elements, permitting fees and
9 consultation/participation by affected local entities has
10 been rolled forward from approved 1997 ozone infrastructure
11 SIP with no changes to this current one.

12 Does anybody have any questions?

13 BOARD MEMBER BROWN: Any questions from the
14 Board?

15 Any questions from the public? Comments? Okay.

16 MS. CEDERLE: Thank you very much.

17 BOARD MEMBER BROWN: Thank you.

18 MS. ANDERSON: Yes. And also for the
19 record, we did not receive any comments through the mail
20 regarding the eight-hour ozone infrastructure SIP.

21 BOARD MEMBER BROWN: Thank you.

22 MR. DIETRICH: Okay.

23 BOARD MEMBER BROWN: Let's see. Updates
24 from the Division. I guess that would be ozone?

25 MR. DIETRICH: Yes.

1 MS. ANDERSON: So we have two updates.
2 You'll have to come around again, so -- first one involves
3 a slide show. Darla Potter will be giving the first
4 presentation.

5 BOARD MEMBER HANSON: Best seats in the
6 house, right?

7 MS. ANDERSON: You see something?

8 UNIDENTIFIED MALE: It's coming up.

9 MR. DIETRICH: It's lightening up.

10 MS. POTTER: I'm Darla Potter. I am the
11 Air Quality Resource Program Manager for the Air Quality
12 Division. You've heard from me numerous times before on
13 this topic, and I don't envision that stopping any time
14 soon, so we'll keep you up to date.

15 The purpose for these updates at each Board
16 meeting is to make sure that we continue this dialog with
17 the Board to keep you up to date as this topic evolves over
18 time, because eventually, and as we get to the end of the
19 presentation, I will point out several points, which we
20 will be coming before the Board, with actions for your
21 consideration. And so we have found in the past that it's
22 much easier if we continue to update you on these big
23 topics so that when we bring a regulation before you for
24 rule -- in rulemaking, you can focus on the rulemaking at
25 hand and not have to try to play catch-up on all of the

1 background information.

2 Okay, Tina.

3 The outline today, Jeni gave a great overview and
4 background for you of the eight-hour ozone standard, and
5 we've been through that before, so I won't bore you with
6 that today. Rather, what we'll focus on today are four
7 things. We'll focus on the Upper Green River Basin Air
8 Quality Citizens Advisory Task Force and the Department of
9 Environmental Quality's evaluation of the recommendations
10 from the task force.

11 We will focus on Air Quality Division resources
12 that we are dedicating to ozone, primarily in the Upper
13 Green River Basin in Wyoming, but we are looking at these
14 issues statewide as well.

15 We will focus on the winter of 2013 for that
16 Upper Green River Basin and what activities are ongoing and
17 already started.

18 And, lastly, we will focus on the ozone
19 nonattainment planning specific to Upper Green River Basin.

20 Okay, Tina.

21 So for the task force, we'll go to the next
22 slide. And just a refresher on the task force, this group
23 was formed at the direction of the governor of the State of
24 Wyoming, Governor Mead, as well as Director John Corra.

25 The group was formed to consider and advise DEQ

1 on potential solutions to reduce ozone. The group was a
2 stakeholder-based group of 26 individuals from a wide
3 variety of stakeholder base, everything from municipal and
4 county governments to federal -- federal agencies, the
5 public industry, and environmental groups as well.

6 And they've held numerous meetings over the
7 course, primarily, of 2012. And in late September they
8 submitted 10 recommendations to the Department of
9 Environmental Quality. Just last Thursday, on
10 January 10th, the Air Quality Division went to Pinedale to
11 meet again with the task force and the public to
12 communicate our evaluation of those recommendations to
13 the -- to the DEQ.

14 If we could -- as we go to the next slide, we'll
15 explain the basis of our evaluation to you. We won't go
16 through everything that was covered in that meeting last
17 Thursday, but that presentation from last Thursday's
18 meeting is posted on the DEQ website. For the Board's
19 convenience, a copy of them have also been given to you
20 today so that you can look at that at your leisure, and if
21 you have questions, please let us know and we will do our
22 best to answer those for you.

23 As we considered the 10 recommendations that came
24 from the task force, we did not reject any of those 10
25 recommendations. And to be a recommendation sent to the

1 DEQ, they had to achieve consensus with all of those
2 stakeholders. So in and of itself, that's quite a feat.

3 We did not reject any of those 10
4 recommendations. Rather what we did with them was looked
5 at grouping them into three different groups. Those groups
6 were based on the time to implement the recommendation, the
7 need for regulatory processes, which, as our board, you're
8 very familiar with the processes that we go through to take
9 something through that, that regulatory process to final
10 state rule, and then on to EPA when appropriate.

11 We already also have some authority limitations.
12 Those were of consideration to us as we did these
13 groupings. We also looked at the overall benefit of each
14 recommendation in terms of reducing ozone. That was the
15 objective of these recommendations.

16 What we -- as we get into this a little bit
17 further, what you'll see is some recommendations were
18 actually placed into two groupings based on the
19 implementation strategy. There are some things we are able
20 to do sooner, and some things with each recommendation that
21 we may have to do later. And so not to confuse you.
22 Sometimes you'll see a number more than once.

23 As we go onto the next slide, this is the
24 compilation of where each of those recommendations ended up
25 within each group. The final task force recommendations

1 are posted within the Air Quality Division website. For
2 the convenience of the Board, that's also been provided to
3 you in the handouts that you received today so that you can
4 see the language associated with those.

5 In the interest of time today, I'm not going to
6 take you through each and every one of those 10 consensus
7 recommendations, but rather explain to you how something
8 ended up in Group 1, Group 2 or Group 3. The Group 1
9 recommendations on the left-hand portion of the slide
10 portion can be implemented to some degree in the near term.
11 All of the numbering associated with the recommendations
12 are the numbers that correspond to the task force
13 recommendations.

14 One thing that I -- you should be aware of is
15 when we got the recommendations, there was no
16 recommendation number 8. So not to -- not to throw us off
17 in regard to that.

18 Some of the actions in Group 1 are things that
19 are already in motion to some degree by the Air Quality
20 Division. Items in Group 1 can be implemented without
21 going through the regulatory process, and so these are
22 things that -- that can be, because of that, implemented
23 more in the near term.

24 The Division programs that we anticipate to
25 assist with the items in Group 1, involvement in the New

1 Source Review program -- you've heard from them throughout
2 the meeting today -- involvement of our planning section,
3 involvement of the monitoring section, and involvement of
4 the emissions inventory section. And all three of those
5 sections are within the Air Quality Resource Planning --
6 Resource Management Program.

7 What you'll see is we move from Group 1 to Group
8 2, you'll see recommendation number 6 and recommendation 7
9 repeated between Group 1 and Group 2. Those are our two
10 examples of recommendations where there is something that
11 we can do in the near term with each of those
12 recommendations, but there is something that needs to be
13 implemented in the longer term.

14 Group 2 focuses on implementation in the longer
15 term. These are actions that will require the agency to go
16 through the regulatory process. So in terms of these
17 recommendations, as we would go through that regulatory
18 process, that rulemaking would first and foremost come to
19 the Advisory Board for your consideration before continuing
20 through that process. Some of these items may also be
21 affected and driven by budgetary constraints, not only
22 rulemaking constraints. And so that may have been the
23 result of why they ended up in Group 2 as well.

24 A lot of the same Air Quality Division programs
25 would assist with the Group 2 implementation. The New

1 Source Review program would, again, need to assist in
2 implementation for Group 2. Obviously, when we do
3 rulemaking, that directly involves our rulemaking staff,
4 and a lot of this would involve our emissions inventory
5 section as well.

6 And, finally, Group 3 has the least number of
7 recommendations within it. That is because the
8 implementation is even longer term than Group 2. That is
9 because we, as an agency, do not have the regulatory
10 authority to accomplish those tasks. In these cases, both
11 of those recommendations are written specific to nonroad
12 mobile engines, and those are a source category that the
13 State of Wyoming does not have direct authority to control.

14 In -- in some of these instances we need some
15 more background information as well. We need to seek that.
16 Because we don't have the authority on those, assistance by
17 the Environmental Protection Agency would be necessary and
18 appropriate. And should we end up at a point where those,
19 in fact, can go forward and we can overcome those
20 limitations, the Division programs that would need to
21 assist in that are a lot of the same ones you've heard
22 about. We would need assistance from the emissions
23 inventory section. At that point, hopefully we would be in
24 a situation for rulemaking. Should we get such authority,
25 our rulemaking staff would be involved, as well as our New

1 Source Review staff.

2 Before we leave this slide. Earlier today in the
3 rulemaking portion of the discussion primarily involving
4 the rulemaking for the New Source Performance Standards and
5 NESHAPS for oil and gas sources, you heard reference to a
6 comment letter that was received from the Wyoming Outdoor
7 Council and the Environmental Defense Fund. That letter,
8 in several places, references the task force
9 recommendations, and the Division's evaluation of those
10 recommendations. That letter supports that all of the task
11 force recommendations calls out some of these categories,
12 although it doesn't call out any particular recommendation.
13 And so you think it's important to point out once again
14 that the Division did not reject any of the 10
15 recommendations from the task force. Rather, what we did
16 was evaluated what can we look at and work with near term,
17 what will require rulemaking, primarily, and that, as a
18 direct result of the rulemaking process that's required by
19 the State of Wyoming, would take longer to accomplish. And
20 then finally those items that we just simply don't have a
21 rule for.

22 Diane.

23 BOARD MEMBER HANSON: Ladies first.

24 BOARD MEMBER HULME: So Group 1, number 10
25 incentive, obviously they must be short term or easily

1 implemented incentives. Can you expand on what they were
2 thinking with some of those, what some of those might be?

3 MS. POTTER: The incentives recommendation
4 is to work to provide incentives to accelerate emissions
5 reductions, in short. That's not the entire
6 recommendation. What we plan to do with that is to convene
7 the industry stakeholders to have some discussions with
8 them on the range of incentives.

9 BOARD MEMBER HULME: So they didn't go into
10 exact detail on what those would be or work those out, but
11 obviously the idea is to incentivize them to reduce
12 emissions, but we don't know by what process yet.

13 MS. POTTER: Correct.

14 BOARD MEMBER HULME: Is that what you're
15 saying?

16 MS. POTTER: A lot of these
17 recommendations -- well, we can tell you that the wording
18 for these recommendation -- because they had to achieve
19 consensus among all the stakeholders, the wording was
20 chosen very carefully. In some cases the wording is left
21 more broad to be able to achieve consensus among that many
22 stakeholders. And for some stakeholders, they also wanted
23 to provide the discussion of the Department and the
24 Division to determine what will work best. And so we
25 participated in those task force meetings, in the drafting

1 of the recommendations. And there's a fine line with
2 considering all the discussions that went on in the task
3 force, being respectful of the final consensus
4 recommendation, because simply the addition or removal of
5 one word in particular could have translated to it not
6 achieving consensus among the groups. So those are things
7 that the Division has considered and we will continue to
8 consider as we work with these recommendations.

9 BOARD MEMBER HULME: Thank you.

10 MS. POTTER: Klaus.

11 BOARD MEMBER HANSON: Two questions, 7 and
12 11. Let me go 11 first. I guess that's just your
13 reaction, because there were 10 commandments. So 11 is
14 your reaction to this?

15 MS. POTTER: No. 11 is a recommendation.
16 So you have to remember they didn't give us a
17 recommendation 8.

18 BOARD MEMBER HANSON: Oh, so --

19 MS. POTTER: So they skipped 8.

20 BOARD MEMBER HANSON: Uh-huh.

21 MS. POTTER: And we have a 9, 10, and 11.

22 BOARD MEMBER HANSON: Okay. So 8 is
23 actually left out.

24 MS. POTTER: Well --

25 BOARD MEMBER HANSON: Something like that.

1 Whatever it is.

2 MS. POTTER: Right. 11 is a
3 recommendation.

4 BOARD MEMBER HANSON: Yes.

5 MS. POTTER: And 11 was a recommendation to
6 assess the needs and dedicate DEQ personnel to manage the
7 Upper Green River Basin nonattainment air quality issues.
8 And I have specific slides to let you know how we're
9 dedicating our resources currently. And so given how we're
10 allocating our resources currently, we'll evaluate whether
11 we need to dedicate additional personnel. But I'll cover
12 that for you today.

13 Then you had a question on 7?

14 BOARD MEMBER HANSON: Yeah, I just wanted
15 to know the term "produced water." This is what industrial
16 produced -- the industrially produced water or whatever --
17 what does it refer to?

18 MS. POTTER: The language in the
19 recommendation specifically states from open evaporation
20 and produced water ponds.

21 BOARD MEMBER HANSON: Uh-huh.

22 MS. POTTER: And then a parenthetical
23 statement after that and various commercial and
24 noncommercial pits. And so that was the -- kind of the
25 universe that they were considering for that

1 recommendation.

2 BOARD MEMBER HANSON: So this refers to
3 water that has been in some way polluted.

4 MS. POTTER: In some way utilized by the
5 oil and gas industry.

6 BOARD MEMBER HANSON: By the industry.
7 Okay. Has some components in it now that weren't there
8 originally.

9 MS. POTTER: Uh-huh.

10 BOARD MEMBER HANSON: Okay. Thank you.

11 MS. POTTER: Okay. So from here on I'm
12 going to leave the task force recommendations. So if you
13 have any remaining questions, now would probably be a good
14 time to answer those with the Board.

15 No? Okay. So we'll move on.

16 Klaus, I couldn't have paid you money to ask me a
17 better question about recommendation 11. Perfect segue.

18 BOARD MEMBER HANSON: I'll do it for free.

19 MS. POTTER: Oh, thank you.

20 So we'll move on to AQD resources that are
21 currently being devoted to the topic of ozone, particularly
22 on the Upper Green River Basin. The Division has an ozone
23 team; a number of us are here today. It's a team of
24 division staff who provide ongoing oversight of ozone
25 activities in the Upper Green River Basin. We also

1 continue to watch ozone as a topic in terms of the entire
2 state of Wyoming, not just the Upper Green River Basin.
3 Although the bulk of our effort is directed toward the
4 Upper Green.

5 We meet at least weekly. We meet more frequently
6 if necessary. The team's comprised of Division staff from
7 multiple programs within the Division. I participate from
8 the Air Quality Resource Management and Planning. Tina and
9 Jeni participate from our rulemaking and our State
10 Implementation Plan development side of things. Andrew
11 Keyfauver is the staff person in our New Source Permitting
12 Program, and he participants in that group. Cara Keslar
13 leads our monitoring section, and she participates in that
14 group. And we have two staff that are dedicated to
15 compliance in Pinedale and in the Upper Green, Jennifer
16 Frazier and Brandi O'Brien, and they participate in that
17 group as their schedules allow as well.

18 The team functions and reports to Steve Dietrich,
19 our Air Quality Division Administrator. As I mentioned, we
20 meet throughout the entire year, but we dedicate a lot of
21 resources to getting ready for winter ozone season in the
22 Upper Green River Basin, which is January, February, and
23 March. So we are now in winter ozone season for the Upper
24 Green River Basin.

25 In order to do the best job that we can, serving

1 the needs of the state of Wyoming on this topic, we not
2 only work with the individuals that I mentioned, those
3 several individuals, but we utilize staff throughout the --
4 throughout the Division. We utilize resources from ozone
5 experts, the Environmental Protection Agency, and others
6 that may have more information on the topic than we have at
7 hand. And as we go into ozone seasons -- so if we go to
8 the next slide, you can see that this really is a much
9 bigger effort.

10 As we go into each ozone season, there is a much
11 broader group of individuals that are involved in what is
12 truly a team effort. As you look at the slide, what you
13 may see is that a number of -- number of people's titles
14 are repeated over and over. Because we have multiple
15 people that serve in their roles and their jobs and their
16 responsibilities of what they're hired to do on a
17 day-to-day basis for the Air Quality Division and for other
18 departments as well, the Department of Health, the
19 Governor's Policy Office, DEQ as a whole, not just the
20 Division, but at this time of year, all of those people
21 come together and in some way, out of these approximately
22 30 people, we have people that end up talking each and
23 every day throughout the ozone season. Seven days a week.
24 This doesn't stop working on the weekend.

25 We go through and we establish and maintain our

1 involvement with the Wyoming Department of Health. They,
2 on their own, are conducting an epidemiological study in
3 the Upper Green River Basin. Our discussions are tied to
4 the Governor's Policy Office as well, so that they're aware
5 of what we're doing. And so it truly takes a team of
6 individuals to really direct our efforts that are -- and
7 our resources appropriately to be able to address this
8 problem year-round. So we simply don't have one individual
9 that handles this issue. It's a much bigger issue than
10 that. And it truly is a team of people year-round and a
11 larger team of people as we go into each one.

12 From here we'll go into the things that are
13 specifically in place for this winter so that you know
14 what's going on, and if you hear press in relationship to
15 these things, you can kind of place them in context.

16 Well, first go to the next slide and we'll talk
17 about winter ozone forecasting.

18 The Division issues a daily forecast from January
19 2nd to March 29th -- I'm sorry, that should say 2013 --

20 BOARD MEMBER HANSON: Yeah.

21 MS. POTTER: -- not 2012.

22 We do this seven days a week. We have Air
23 Quality Division staff that are trained meteorologists. We
24 also -- we also contract with a meteorologist who's also
25 involved in our winter monitoring efforts as well.

1 The forecasts that are issued are based on
2 weather forecasting. We primarily look at winds, snow
3 cover, pressure fronts, and cloud cover. Based on the
4 evaluation of the weather, each day a winter ozone update
5 is issued. A winter ozone update is issued to be able to
6 look at the expected conditions for the current, as well as
7 the next day. We issue these forecasts by noon each day.
8 And the primary purpose is to inform the public so that
9 they can make the appropriate decisions about their level
10 of outdoor activity.

11 Ozone levels affect each and every individual
12 differently. We know that the elderly and the young, those
13 with compromised respiratory systems probably see the
14 greatest effect from elevated ozone, but the reality is no
15 two people react exactly the same way. So it's important
16 for the public to be able to make their own decisions. We
17 make this information available each day via posting on our
18 Division website. We have a toll-free phone number that
19 has a recorded message on it so that people can call in and
20 hear what the expectation is for potential for ozone
21 formation based on the weather conditions on that day.

22 There is an e-mail Listserv that by going to our
23 website people can sign up for, and if you like a lot of
24 e-mail, you get an e-mail each and every day. But it's a
25 way for us to get that message out. We also send messages

1 each day to the media outlets to help us get that message
2 out.

3 In addition to making sure that the public has
4 the information they need to make decisions about outdoor
5 activity, we also issue a decision about ozone action days.
6 These decisions are issued 24 hours in advance of when we
7 believe forecasted weather conditions appear to be
8 favorable for the formation of elevated ozone the following
9 day. This is done primarily to allow industry who have
10 submitted an ozone contingency plan to then implement those
11 short-term emission reduction measures with that notice.

12 So this decision is issued by noon each day. It
13 gives industry that ability to then put in place those
14 contingency plans the following day. Those plans are
15 voluntary. They're not required. And each company chooses
16 the emission reduction measures that fit their operation.
17 This year we have 31 companies that have submitted ozone
18 contingency plans, and that is up from in the past two
19 years we had about 26, 27 companies. So we continue to
20 work to expand that effort.

21 And we encourage everyone, not just companies,
22 that when we issue an ozone action day, to do their part to
23 reduce emissions. So for citizens in the Upper Green River
24 Basin, if they simply can eliminate their vehicle idling,
25 that can help. Every amount of emissions that are emitted

1 in that basin when there's a type of capping inversion and
2 all the weather parameters line up, all of that we feel is
3 very important and could make a difference.

4 BOARD MEMBER HULME: Darla.

5 MS. POTTER: Uh-huh.

6 BOARD MEMBER HULME: It's a tough thing to
7 quantify, but do you guys have any sense on how well the
8 public is voluntarily reducing emissions on these days?
9 Like, are they following -- do you have -- can you quantify
10 at all, are people following this?

11 MS. POTTER: We -- our best attempt at
12 quantification is more qualitative. When we issue an ozone
13 action day, for the past two winters what we have done is
14 had our compliance staff observe activity levels within the
15 communities, as well as out in the industrial development
16 area.

17 BOARD MEMBER HULME: Uh-huh. Okay.

18 MS. POTTER: And what we learned last year,
19 for the two ozone action days that we issued last year, was
20 that there was overall a much better response from industry
21 as well as the public last year.

22 BOARD MEMBER HULME: Okay.

23 MS. POTTER: But it's really more of a
24 qualitative observation than anything we can quantify.

25 MR. DIETRICH: Darla, if I could add --

1 this is Steve -- that we would -- this is one of the things
2 that would be in Group 1, that we continue to improve on a
3 voluntary basis and needs to be increased wherever we can
4 do that.

5 BOARD MEMBER HULME: Have you guys seen
6 that it helps? I mean, like -- I don't know what the lag
7 time is for when you have people start altering their
8 practices to accommodate the high ozone. When do you
9 see -- I mean, what's the impact of this, do we know? Does
10 it really help or is it a sort of feel-good, political --

11 MS. POTTER: We can't quantify --
12 unfortunately we don't have a method to quantify the
13 emissions reduction that occurs in association with these
14 contingency plans. So I would say there's probably some
15 reality to the statement of, you know, feel-good measure.

16 BOARD MEMBER HULME: Uh-huh.

17 MS. POTTER: We have systems that set up --
18 that end up being multi-day events. And I would say in
19 particular, for those multi-day events, it's good for us to
20 be able to reduce emissions on any day when we believe
21 those conditions meteorologically are going to set up. But
22 when we have those conditions persist over multiple days,
23 any emissions that continue to be generated in that basin,
24 stay in that basin --

25 MR. DIETRICH: Right.

1 MS. POTTER: -- and interreact. And so
2 we -- we believe that they are positive and they are
3 beneficial --

4 BOARD MEMBER HULME: Okay.

5 MS. POTTER: -- but having the quantitative
6 numbers behind is where we are really lacking information.

7 BOARD MEMBER HULME: Okay.

8 MS. POTTER: Klaus.

9 BOARD MEMBER HANSON: You mentioned
10 something that there was an increase in the number of
11 industry participating.

12 MS. POTTER: Uh-huh.

13 BOARD MEMBER HANSON: What's the percentage
14 altogether? You said I think up to 24, or something like
15 that. How many participants could there be?

16 MS. POTTER: You know, I'd have to go back
17 and --

18 BOARD MEMBER HANSON: Uh-huh.

19 MS. POTTER: -- look at the number of
20 companies.

21 BOARD MEMBER HANSON: Okay.

22 MS. POTTER: I know when we sent out the
23 letters, we sent out over -- we ended up sending out over
24 130 letters when we sent out the letters to notify people
25 that we once again were requesting plans. What I don't

1 know out of that 130 off of top of my head is how many of
2 those letters were to multiple people within the same
3 company.

4 MR. DIETRICH: Yeah.

5 MS. POTTER: We know we don't have every
6 single company out there that's participating, but in terms
7 of those companies that are participating this year we have
8 seven new companies that have not ever participated in the
9 past. And so that's -- that's what we are hoping --

10 BOARD MEMBER HANSON: Encouraging.

11 MS. POTTER: -- continues to encourage
12 growth of the program. And we continue to encourage the
13 those who have participated before to continue to
14 participate.

15 BOARD MEMBER HANSON: The other question,
16 we are two weeks into the program, have we issued any
17 action days?

18 MS. POTTER: We have not issued --

19 BOARD MEMBER HANSON: Okay.

20 MS. POTTER: -- an ozone action days.

21 So far -- including the forecast that I stepped
22 out so that they could communicate with me this morning, so
23 far all of our forecasts have indicated that the weather
24 conditions are not setting up to be conducive to the
25 formation of elevated ozone.

1 BOARD MEMBER HANSON: Okay.

2 MS. POTTER: And that being said, as we get
3 later into January, and in particular as we move into
4 February and March, it's typically when we've seen, on
5 monitored basis, those -- those ozone levels rise. And so
6 we haven't seen that yet, both in the weather forecasts, as
7 well as in the monitored data.

8 But we do this every day, starting at the
9 beginning of January, because it's a very complex system,
10 and we need to very much be vigilant. And if there's a
11 potential for those weather conditions to set up, we want
12 to make sure that we're letting the public know so that
13 they can take the appropriate precautions.

14 BOARD MEMBER HANSON: Last question. I
15 think last meeting we discussed the proportion of snow
16 levels, I think.

17 MS. POTTER: Uh-huh.

18 BOARD MEMBER HANSON: And this has been a
19 very dry winter. Does that have a positive effect or any
20 effect?

21 MS. POTTER: It's a very good question, and
22 that's one of the things that we look at in December, as
23 well as when we start forecasting the beginning of the
24 month. We look at where we're at with snow levels. We
25 compared an image -- camera image from January 2nd this

1 year with January 2nd last year. We have had snow since
2 the beginning of January in the Upper Green this year,
3 where last year the basin was brown.

4 BOARD MEMBER HANSON: Uh-huh.

5 MS. POTTER: And we did not pick up the
6 snowpack last year until storm systems that came through
7 January 21 through the 26th. That being said we're nowhere
8 near the snow levels that we had starting the season in
9 2011. And 2011 was the last --

10 BOARD MEMBER HANSON: Big one.

11 MS. POTTER: -- year of -- of, you know,
12 really elevated ozone levels in the Upper Green. And so it
13 is something we watch very closely.

14 BOARD MEMBER HANSON: Uh-huh.

15 MS. POTTER: In fact, while we were up
16 there last Thursday night, they had a nice snowstorm come
17 through while we were there, added between 3 to 5 inches
18 throughout the interior of the Upper Green River Basin.
19 And so any snowpack that had deteriorated so far this
20 season, they've regained. And so we've continued to watch
21 the additional precipitation. It is staying cold enough
22 for that snow to stay, and that is a key component.

23 BOARD MEMBER HANSON: Thank you.

24 MS. POTTER: Uh-huh.

25 Okay. We'll -- still within respect to what's

1 going on this winter, I mentioned our -- that we have two
2 compliance staff in the Upper Green River Basin. They do
3 inspections of facilities year-round in their jobs in that
4 compliance program, and they continue those inspections
5 during winter ozone seasons. So they're inspecting
6 production sites, compressor stations, major Title V
7 facilities. Those continue to go on.

8 In response to Diana's question, I mentioned kind
9 of the qualitative response. We do ask them to go out and
10 have a field presence on ozone action days. It's
11 qualitative, but it gives us a better feel for, you know,
12 what level of activity is still going on. And, you know,
13 that activity level, you know, both in terms of the ozone
14 contingency plans as well as community participation.

15 When we issue an ozone action day for those
16 companies that have contingency plans within 10 days of
17 that day, they notify us -- they send in an event summary
18 that lets us know how they were able to -- how they were
19 able to meet the thing that they indicated they would do on
20 an ozone action day in their plan. So it gives us a good
21 idea on action days of what events are actually taking
22 place. What are they curtailing, those issues. So that's
23 very helpful to us as well.

24 BOARD MEMBER BROWN: So there's staff in
25 Pinedale?

1 MS. POTTER: Yes, we have two staff in
2 Pinedale.

3 BOARD MEMBER BROWN: In Pinedale.

4 MS. POTTER: Uh-huh.

5 Okay. And our last slide for the winter of 2013,
6 each year since the winter of 2007 we have had a formal
7 Upper Green winter ozone study that has happened. The
8 monitoring study actually began in some part in 2006, just
9 wasn't formally called that until we went into the winter
10 of 2007. The objective changes each year we evaluate what
11 information is necessary. This year our objective for that
12 study is for ongoing regulatory monitoring at six stations
13 that we have that are in the station -- in the basin
14 year-round, and we are supplementing that regulatory
15 monitoring at six stations with additional ambient and
16 meteorological monitoring.

17 So the current monitoring is at six sites. It's
18 all federal reference method monitoring. We will be
19 deploying three mesonet monitoring sites. These are tripod
20 based sites that are on solar power. We will collect ozone
21 information at these sites, as well as meteorological
22 information. And we have the cameras attached to these
23 sites this year to help us get a better visual on impact
24 throughout the basin.

25 We will -- and, in fact, all of this monitoring

1 is, in fact, in place. We deployed a monitoring trailer at
2 a location in the Jonah field. When monitoring happened,
3 when we discovered the ozone formation in the Upper Green
4 River Basin, we actually had a permanent station located in
5 association with the Jonah field. That station became
6 eclipsed by the field itself, and we no longer viewed it as
7 ambient air, so it's been moved. We tried going back, if
8 possible, and it's been possible this year, with a mobile
9 station to set up so we can monitor those conditions and
10 then compare back to that information from previous years.

11 We will collect speciated VOC samples. Those
12 will occur at a number of our permit sites, as well as a
13 number of these mesonet sites, so that we get a spatial
14 feel for the volatile organic compound speciation
15 throughout the basin. Those aren't continuous. What we
16 look for are meteorological conditions that are ideal for
17 ozone formation, and then we trigger those canisters to
18 collect during that time frame.

19 And then this year we will be launching some
20 ozone sondes, and radio sondes. They're attached to
21 balloons. We'll launch those. They give us a picture of
22 ozone as the balloon goes up in elevation as -- and the
23 radio sondes capture the weather information as well, and
24 give us a better idea about the very -- primarily of the
25 inversion, so that we know where that's at.

1 The mini-SODAR is operated throughout the entire
2 time frame that gives us an idea of mixing height so that
3 we know where that inversion cap is at. And that's
4 important information in terms of the modeling that we're
5 doing as well.

6 And then finally, to make sure that all of this
7 operates and runs correctly, as part of our contract we
8 actually hire a monitoring technician who lives in Pinedale
9 during this entire time frame. If there's anything that
10 goes wrong with any of the equipment, that technician we
11 could deploy to fix it. That technician is also
12 responsible for the collection of the speciated volatile
13 organic compound samples, as well as assisting with those
14 ozone and radio sondes launches. So it, in and of itself,
15 takes a great deal of effort to do the monitoring we do
16 each winter.

17 BOARD MEMBER HANSON: What is SODAR?

18 MS. POTTER: You know, I don't know what
19 the acronym stands for.

20 BOARD MEMBER HANSON: Sonar --

21 MS. POTTER: Does anyone know what SODAR
22 stands for?

23 MR. HALL: It's --

24 THE REPORTER: Excuse me. Can you state
25 your name?

1 MR. HALL: Brian Hall, Air Quality
2 Division.

3 It's Sonic -- what --

4 MS. BERRY: Sonic Detection and Ranging.

5 MR. HALL: Sonic Detection and Ranging, so
6 it's the same thing as radar, except using sound waves
7 instead of radio waves.

8 BOARD MEMBER HANSON: Sounds like a radar
9 system of sorts.

10 MS. POTTER: But a small one.

11 BOARD MEMBER HANSON: Small one.

12 MR. DIETRICH: Mini.

13 BOARD MEMBER HANSON: Mini.

14 MS. POTTER: Okay. So we're going to leave
15 what we're doing in the winter, and we'll transition into
16 ozone nonattainment planning. And thanks to Tina Anderson,
17 she's -- she's our ozone nonattainment planning expert, and
18 so she may have to help me if you have hard questions on
19 these.

20 There are four slides that I'll walk you through,
21 and because there are -- there are a lot of different
22 aspects to ozone nonattainment planning in terms of where
23 we need to go forward as a Division.

24 We will be working to implement the Group 1 task
25 force recommendations. It's one of the first things that

1 we will be working to do. And, again, those Group 1 items
2 are items in the near term.

3 There are also federal requirements that, as a
4 regulatory agency and as a Division, we have to tackle
5 them. We have to go forward with those. And so what you
6 see in the remaining three bullets on the slide are, in
7 fact, tied to the federal requirements. The general
8 conformity state implementation plan revision, some of you
9 may recall that last year we brought an update to our
10 general conformity state rule before you. That rulemaking
11 process was completed in December. And in December that
12 revised state rule was packaged up and submitted to EPA as
13 a SIP revision.

14 This topic is very important to ongoing
15 coordination with the Bureau of Land Management and ongoing
16 oil and gas development in the Upper Green River Basin.
17 And so while encouraging EPA to, in fact, revise our state
18 implementation plan with the updated rule, we are
19 continuing to meet with BLM. You know, we've already met
20 numerous times. We continue to meet with them to
21 coordinate and to get some very important questions
22 answered on implementation of the general conformity
23 requirements.

24 Nonattainment New Source Review, a number of
25 years ago, before this Board was a rulemaking to

1 incorporate by reference the nonattainment New Source
2 Review required permitting requirements. So those have, in
3 fact, been effective state rules for number of years. The
4 Upper Green River Basin became a -- designated as an
5 nonattainment area effective July 20th of 2012. And so now
6 in place are those -- the implementation of those rules
7 that came before the Board and were, in fact, adopted as
8 state rules.

9 These would apply and be applied by the New
10 Source Review Permitting Program as any major source within
11 the nonattainment area. Either a new source or modified
12 source comes through for nonattainment -- a New Source
13 Review permit. Stricter standards, such as lowest
14 achievable emission rate, LAER, instead of BACT, best
15 achievable control technology, things such as that.

16 This also incorporates some offset requirements,
17 but as part of our interim guidance, which is in the
18 regulations, we've got those that apply to all sources in
19 the Upper Green River Basin as well. If they choose to use
20 offsets in order to demonstrate to the administrator that
21 they won't make the nonattainment problem worse.

22 BOARD MEMBER HANSON: Towards attainment?

23 MS. POTTER: Yes. And the language in that
24 portion of the rule is that they won't cause or contribute
25 to, you know, not attain the standard.

1 The intent of those is yes, we continue to make
2 things better, not worse.

3 BOARD MEMBER HANSON: Yeah.

4 MS. POTTER: The last bullet is a rule that
5 you haven't seen yet. You will see yet this year. The
6 agency meets to develop an emissions inventory rule, as a
7 requirement of our nonattainment status in the Upper Green
8 River Basin. Even though, through the Environmental
9 Quality Act, that act already authorizes the DEQ to collect
10 emissions inventories. And we have a fairly aggressive
11 emissions inventory program in the state of Wyoming. In
12 order to satisfy EPA requirements, we'll need to take that
13 through as a rule. And so the staff will develop an
14 emissions inventory rule in the traditional rulemaking
15 process. You will see that rule, and you will see it in
16 2013.

17 BOARD MEMBER HANSON: So that would
18 probably be -- the last two bullets are sort of connected
19 to one another, right? Because you want to get to some
20 kind of an attainment with the second part, emission
21 development invent -- inventory to get to attainment.

22 MS. POTTER: So developing an emissions
23 inventory rule --

24 BOARD MEMBER HANSON: Uh-huh.

25 MS. POTTER: -- in its simplest form, would

1 codify the process that we go through --

2 BOARD MEMBER HANSON: Uh-huh.

3 MS. POTTER: -- to require sources that are
4 actually operating to submit us their actual operation
5 information.

6 BOARD MEMBER HANSON: Uh-huh.

7 MS. POTTER: Okay. So that we can quantify
8 actual emissions in the area.

9 BOARD MEMBER HANSON: Oh.

10 MS. POTTER: So it's more about tracking
11 the actual activity level, and when that's occurring and
12 the emissions produced associated with it, where
13 nonattainment New Source Review is forward looking as
14 sources are new or modified to make sure that as those
15 continue to come into the basin and are modified for major
16 sources, those are being looked at so that they're not
17 making their nonattainment problem worse.

18 BOARD MEMBER HANSON: Okay.

19 MS. POTTER: Okay. We'll go to the next
20 slide for nonattainment planning. These steps get a little
21 bit more complicated to implement. In previous
22 presentations to the Board, we've let you know about the
23 Ozone Advanced Program that EPA came out with. The State
24 of Wyoming signed up for ozone advance in April of 2012.
25 And so our next step in that requirement is to submit a

1 "path forward" letter to EPA in April of 2013. This "path
2 forward" level (sic) is important to be able to tell EPA
3 what some of our emission reduction efforts have already
4 done. In order to begin to build the appropriate history,
5 remember we did not wait to begin actions in the Upper
6 Green until we were designated nonattainment. Industry in
7 the state of Wyoming have done a lot in that basin to
8 reduce emissions, and we want to make sure that that's
9 recognized by the Environmental Protection Agency.

10 So we plan to document those efforts. Our "path
11 forward" level -- "path forward" letter also plans to
12 incorporate the Group 1 recommendations from the task
13 force. Those are the nearer term items that we can go
14 forward with. And we will evaluate and look at what of the
15 possible Group 2 items from the task force to include as
16 well, which of those by the April of 2013 time frame are
17 appropriate.

18 So that is our plan for submitting that "path
19 forward" letter. It just simply lays out for EPA what
20 we've already done and what we intend to do.

21 Earlier today you spent an amount of time talking
22 about incorporation of the new federal oil and gas rules,
23 the New Source Performance Standards, and the NESHAPS. So
24 that rulemaking's going forward already. We think that
25 that is important to recognize as -- as -- it's important

1 statewide, but also is important to recognize in terms of
2 ozone nonattainment as well. So that's moving forward.

3 And in Mark's presentation, he addressed for you
4 some of the differences between, you know, those -- those
5 requirements and the current state guidance. And so in
6 some cases, there may be -- it may necessitate reconciling
7 that state guidance with those new rules, particularly
8 sources trying to feel their way, you know, through that.

9 So you've heard about those two bullets today.
10 And then in this -- this group of things that are a little
11 bit more complicated to implement we are going to begin
12 working on those Group 2 task force recommendations first
13 and foremost that don't involve rulemaking. So there's
14 some aspects to produced water and storage that we don't
15 believe will require rulemaking. We'll look at working on
16 those. And then the DEQ personnel evaluation, we don't
17 believe will require rulemaking, but definitely has some
18 budgetary and legislative concerns associated with it. So
19 we'll focus on those.

20 Getting harder still. These by far are items
21 that will take a lot of effort and require future
22 rulemaking. So everything associated with the first bullet
23 would definitely be things that are relevant to the Board,
24 because in our rulemaking process, we will come to you with
25 those first and foremost in that process.

1 So things that -- that we are focusing on and we
2 know that rulemaking would be necessary, controlling
3 emissions from older sources. We have a number of existing
4 sources in the Upper Green River Basin that are complying
5 with the permits that they, in fact, were issued. The fact
6 of the matter is that the permits that they were issued
7 were issued when the emissions control requirements weren't
8 as stringent as they are today. And so we know by doing
9 the emissions inventories, that those sources are
10 contributing a good portion of the emissions that are being
11 emitted ended up in the Green River Basin. So we know we
12 need to look at those and go back and evaluate, you know,
13 more permanent and enforceable mechanisms for reductions,
14 not just the voluntary reductions that have occurred so
15 far.

16 Along with that, oil and gas development and
17 industrial development continues to be important to that
18 basin. And so as we look at controlling those emissions
19 from older sources, we also need to address new growth so
20 that we can be able to continue to have economic
21 development within that basin as well.

22 So we will be looking at doing both of those
23 things. All of these tie back to task force
24 recommendations as well. And we're using equipment --
25 emission leaks through leak detection and repair programs,

1 LDAR. And inspections is another component and another
2 item that for existing sources will be important in terms
3 of rulemaking.

4 So all of those things are things that you should
5 look forward to coming before you at a future date.

6 And finally in this, we continue to support
7 modeling, monitoring, and emissions inventory work, as it
8 directly addresses the Clean Air Act requirements or
9 emission control options. We already do a lot of work in
10 respect to this, but we need to move away from the basic
11 science question to workable solutions and a practical
12 science approach. So we will -- we will continue to look
13 at what we're doing, but look with a new eye and a new lens
14 for how we can move that program forward as well.

15 Okay. And lastly, it should be no surprise,
16 there are still actions pending from EPA. So while we are
17 really trying to move forward as best we can, there are
18 still a number of things that we don't have the crystal
19 ball to know exactly what will be required of us by EPA.

20 The first of those are the federal ozone
21 implementation rules. These describe the specific
22 nonattainment instructions on how to address the -- that
23 2008 standard. We are anticipating that it will be similar
24 to the 1997 implementation rule for the 1997 ozone
25 standard, but until they actually propose it and finalize

1 it, we really don't know. And so we are doing our best to
2 move forward with what we know, but there's still some
3 things that are unknown.

4 Federal ozone monitoring rules are another item
5 that we are still waiting for. This rule was originally
6 proposed in 2009, but it is not yet final. This is
7 important to us because it establishes the who, what, and
8 when you have to monitor. If we have to establish
9 additional monitoring throughout the state of Wyoming,
10 there oftentimes are requirements by EPA to do that. That
11 would have to be established here. It also defines our
12 ozone season. We don't have a traditional ozone season in
13 the Upper Green River Basin, so this is of particular
14 importance to the State of Wyoming as well.

15 We've talked of -- before about the fact that we
16 are already in the five-year cycle for the next ozone
17 National Ambient Air Quality Standard review. We are
18 expecting EPA to propose a new ozone standard in 2013
19 associated with that review. We're anticipating it would
20 be later in 2013. From what we know from following the
21 discussions of the Clean Air Science Advisory Committee, we
22 are expecting that the standard will be lower than the
23 current standard of 75 parts per billion. We've heard
24 discussions of a range between 60 parts per billion and
25 70 parts per billion.

1 So we definitely are keeping this potential
2 strengthening of the ozone standard, the lowering of the
3 ozone standard in mind as we are working to come up with
4 control strategies for the Upper Green River Basin. We
5 need to keep in mind that we very well could be dealing
6 with a lower standard that would be much more restrictive.

7 And we talked -- when we were talking about the
8 task force recommendations, remember Group 3 were those --
9 those recommendations where we didn't have authority.
10 Those recommendations are specifically in regard to nonroad
11 engines. As Wyoming doesn't have the authority, but EPA
12 does, we continue to work on encouraging EPA to move
13 forward on some -- some nonroad engine requirements that
14 would be helpful -- helpful for us.

15 And lastly, as you know by now, we have a very --
16 we're not the only state that has a wintertime ozone
17 problem, but we're one of the few. We don't fit the mold
18 of what EPA has developed and created in terms of ozone
19 models, specifically the Photochemical GRID Model. Those
20 are the models that are traditionally used in attainment
21 planning to show how a state can achieve attainment in the
22 future. And we have been working on that. It is not
23 simple. It is not straightforward. It is not without a
24 monetary cost associated with it. We continue to hit
25 roadblocks, and so really we do need EPA to help develop a

1 wintertime model. We not only have this problem, the Uinta
2 basin in Utah has this problem, and it's -- it's not
3 something that -- it's not something that we will most
4 likely be able to solve on our own with our own resources.
5 It will probably take a larger -- larger initiative. So we
6 continue to encourage EPA to work toward that as well.

7 And with that, that wraps up the update. It's
8 longer than the last time, but we felt it was important to
9 update you on the task force recommendations.

10 BOARD MEMBER HANSON: Since the nonroad
11 engine question came up before, is it just a lack of state
12 regulations on that -- on nonroad engines that nothing has
13 ever come from the legislature, or how come there is no --
14 no regulation?

15 MS. POTTER: Under the Clean Air Act --

16 BOARD MEMBER HANSON: Yeah.

17 MS. POTTER: -- there's only one state that
18 has authority to address mobile sources and nonroad
19 sources, and that's the state of California.

20 BOARD MEMBER HANSON: Uh-huh.

21 MS. POTTER: Because the state of
22 California had requirements prior to EPA establishing them.

23 BOARD MEMBER HANSON: Oh, yes.

24 MS. POTTER: For the remaining states EPA
25 retains all authority in respect to mobile sources and

1 nonroad sources. So it's not an issue of our legislature
2 not passing --

3 BOARD MEMBER HANSON: Passing.

4 MS. POTTER: -- for us and not acting.

5 BOARD MEMBER HANSON: Yeah.

6 MS. POTTER: It's a federal issue that's
7 not just unique to the state of Wyoming.

8 BOARD MEMBER HANSON: This goes back to
9 early automotive restrictions, et cetera.

10 MS. POTTER: Yes, very much.

11 MR. DIETRICH: Yep.

12 BOARD MEMBER HANSON: Boy, that's strange.

13 MS. ANDERSON: I think the original intent
14 was so that we didn't have a patchwork of mobile source
15 regulations all over the country. That's what EPA was
16 thinking. So they had one, EPA would do all the emissions
17 setting.

18 BOARD MEMBER BROWN: If they do lower the
19 national emission rates for ozone, could that throw the
20 whole state into nonattainment? I think I asked this last
21 time.

22 MS. POTTER: And it's a difficult -- it's a
23 difficult question. Depending on where the level of the
24 standard is set --

25 BOARD MEMBER BROWN: Right.

1 MS. POTTER: -- we have the potential for
2 numerous monitoring sites throughout the entire state to
3 have design values that would show nonattainment.

4 BOARD MEMBER BROWN: What's the background
5 number about?

6 MS. ANDERSON: You're asking all the good
7 questions.

8 BOARD MEMBER BROWN: Sorry.

9 MS. POTTER: Yeah, you're asking all the
10 good ones. Background in the West.

11 BOARD MEMBER BROWN: Yes.

12 MS. POTTER: Is thought to be -- and
13 correct me if I get this wrong -- between 40 and 60 parts
14 per million. Where -- that's where we hit the rub, is when
15 EPA is looking at a range for Ambient Air Quality Standard
16 of 60 to 70 parts per million, if in the West --

17 BOARD MEMBER BROWN: Brought it back.

18 MS. POTTER: -- background is 60 parts per
19 billion, you know, we will not be the only western state
20 that will have a problem.

21 MR. DIETRICH: The long and short of that
22 is it doesn't leave room for much human activity.

23 BOARD MEMBER HANSON: Right.

24 MS. POTTER: It's something we continue to
25 watch very closely. We watch the design value for all of

1 our monitors statewide and look at where those are at. Our
2 expectation, when they propose a new ambient air quality
3 standard, is that EPA will propose a range. And when they
4 do that, the staff will take all of our monitoring data
5 that we have statewide and we will evaluate each monitor
6 that we have, given that range. And we now have monitoring
7 in every county throughout the state, but it seems
8 plausible that if the standard is set low enough, and the
9 monitors that you do have have monitored data that
10 indicates that those sites should be designated
11 nonattainment, and the only portions of your state that you
12 don't have that indication for are the, you know, portions
13 of the state that are unmonitored, you know, stands to
14 reason that those then would become unclassifiable because
15 you don't have the monitoring data to show they would
16 attain.

17 MR. DIETRICH: Right. They --

18 MS. POTTER: That would be a good
19 situation.

20 MR. DIETRICH: Okay.

21 MS. POTTER: Thank you for your time, even
22 though it took longer today.

23 BOARD MEMBER BROWN: Do we need to take a
24 quick break for the next presentation or is --

25 MR. DIETRICH: What I have is really short.

1 BOARD MEMBER BROWN: Okay. Yeah, we'll
2 just go.

3 MR. DIETRICH: All I was going to mention
4 here is give you an update on the greenhouse gas regulation
5 and legislation that's pending.

6 Last year-- during last year you guys got to do
7 your part in our rulemaking for greenhouse gas regulations,
8 which we completed that in December, just like we did in
9 general conformity regulation that got completed. What I
10 was going to do is let you know, in concert with that
11 regulation that's now been signed, but it's not effective
12 yet. And the reason it's not is because of our statute.
13 If you remember our statute -- our Statute 35-11-213, for a
14 long time, from the late '90s until just last year, A
15 through D were the sections that were in our statute.

16 And as I go forward with this, if I slip up, I
17 know you're going to correct me, right, Nancy.

18 MS. VEHR: Correct.

19 MR. DIETRICH: What it did was prohibit us
20 not only proposing, but also promulgating any rules to
21 regulate greenhouse gases. With last year's legislative
22 session, they came up with Sections E through K of that
23 same statute that allowed us to at least go through and
24 develop regulations, which we did -- it took a year of
25 participation, as well as EQC and the governor -- but did

1 not give us effectiveness on that regulation, meaning we
2 can't use it -- we can't submit it to EPA, we can't do
3 anything to change our SIP submittal to EPA.

4 What this legislation that we're hoping goes
5 forward -- and you should have a copy of what -- the draft
6 of that legislation is in your packet -- is to give us that
7 authority to give that -- the ability to submit it to EPA,
8 get a SIP approval, become effective in both our eyes and
9 EPA's eyes. And what it would then do is it would allow
10 the State, either to ask or have it automatically happen,
11 to get rid of the FIP, the Federal Implementation Plan,
12 that's currently in place, to replace it with a State-
13 approved and EPA-approved SIP, okay? What, in essence,
14 that would do, then, in the end, it would prevent the dual
15 permitting that's currently going on for EPA having to
16 issue the PSD permit for greenhouse gas and the State
17 issuing permits for all other pollutants we regulate, to
18 only have EPA -- Wyoming DEQ issue the permits for both --
19 all of those pollutants.

20 So we're hoping that the legislation -- and you
21 have a copy of it there -- it hasn't got into discussion in
22 the committee yet, but we were expecting it -- expecting
23 that was going to take place this week. It may actually
24 start happening this Friday. So we're watching that very
25 closely with that language that's there. That would do

1 what we need it to do to move forward with EPA and get a
2 SIP in place. That's all that was going --

3 Nancy, if you want to add anything else there, or
4 not. Great. Do I get an A or B?

5 MS. VEHR: A.

6 MR. DIETRICH: Okay. Questions on that?

7 Okay. Great. We do have a couple more items
8 here on scheduling the next meeting and adjourn, right?

9 BOARD MEMBER BROWN: Next meeting quarterly
10 or whenever is needed. Do we want to set the date now or
11 check the calendar and see what's coming up after the
12 legislature?

13 MR. DIETRICH: Tina, do you have any idea
14 when you think we might want to have another meeting? I
15 know we've got a lot of rules we've talking about here, you
16 saw them on the slides here.

17 MS. ANDERSON: Right. There are a lot of
18 rules that you're going to be looking at in 2013, and we'll
19 probably have to ask you to come multiple times. Not fully
20 because it would be overwhelming for you, but because it
21 would be overwhelming for us to try to prepare these all at
22 once. So I'm guessing it will probably be about three or
23 four months out before we have the first bunch, and then
24 probably be another three or four months out for another.
25 But we're still trying to put our plan together, so...

1 MR. DIETRICH: Is it too early to suggest a
2 month like April or May, or not?

3 MS. ANDERSON: We can kind of target May,
4 at this time, and then --

5 MR. DIETRICH: Okay.

6 MS. ANDERSON: -- get back with you.

7 BOARD MEMBER BROWN: That will work.

8 MS. ANDERSON: And locations, do you all
9 have some thoughts about that?

10 BOARD MEMBER BROWN: Let's see. We've done
11 the southwest, southeast and middle. It's probably
12 northeast or northwest, I suppose.

13 MR. DIETRICH: Okay.

14 BOARD MEMBER BROWN: Unless it's so
15 important we need to centralize it in Casper, like we did
16 last time.

17 BOARD MEMBER HANSON: Everybody has to
18 travel a little bit.

19 BOARD MEMBER BROWN: Doesn't matter to me.
20 We can talk about it later too.

21 MS. ANDERSON: Okay. It's nice to take the
22 Board around the state, because it gives public -- people
23 that are up in Gillette rarely come all the way down here,
24 except for maybe Phil Dinsmore. It's nice just to spread
25 it around, so we can keep that in mind, I suppose.

1 BOARD MEMBER HULME: That's fine.

2 BOARD MEMBER BROWN: Any other questions?

3 BOARD MEMBER HANSON: For me always Tuesday

4 is bad because of City --

5 MR. DIETRICH: Tuesday is bad.

6 BOARD MEMBER HANSON: Tuesday is always bad

7 for me.

8 MR. DIETRICH: Okay.

9 BOARD MEMBER BROWN: Do we need a motion to
10 adjourn, or just adjourn?

11 BOARD MEMBER HANSON: Motion to adjourn.

12 BOARD MEMBER HULME: Second.

13 BOARD MEMBER BROWN: Meeting is adjourned.

14 MR. DIETRICH: Thank you.

15 (Air Quality Advisory Board meeting

16 concluded 12:55 p.m. January 16, 2013.)

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, KATHY J. KENDRICK, a Registered Professional Reporter, do hereby certify that I reported by machine shorthand the foregoing proceedings contained herein, constituting a full, true and correct transcript.

Dated this 5th day of February, 2013.



Kathy J. Kendrick
KATHY J. KENDRICK
Registered Professional Reporter